

Group FE

(Records Withheld  
In Part)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Friday, March 11, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/1

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 FRIDAY,  
8 MARCH 11, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Saturday, March 12, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/2

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 SATURDAY,

8 MARCH 12, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Sunday, March 13, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/3



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

JAPAN'S FUKUSHIMA DAIICHI  
ET TABLE BACKUP 2 AUDIO FILES

+ + + + +

SUNDAY,  
MARCH 13, 2011

+ + + + +

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Monday, March 14, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/24

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 MONDAY,

8 MARCH 14, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Tuesday, March 15, 2011

Work Order No.: NRC-4222

Pages 1-2

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

FE/5

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 TUESDAY,

8 MARCH 15, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

[0%CN4OK600665094]

[NOTE: The audio file for the  
above-referenced date contained no data.]

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Wednesday, March 16, 2011

Work Order No.: NRC-4222

Pages 1-2

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

FE/6

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

JAPAN'S FUKUSHIMA DAIICHI  
ET TABLE BACKUP 2 AUDIO FILES

+ + + + +

WEDNESDAY,  
MARCH 16, 2011

+ + + + +

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Thursday, March 17, 2011

Work Order No.: NRC-4222

Pages 1-7

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/7

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 THURSDAY,

8 MARCH 17, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

P-R-O-C-E-E-D-I-N-G-S

[0%F6%#\$L00665094]

[CONFERENCE CALL INITIATED:]

MALE PARTICIPANT: This is the NRC  
Operations Center. This is (indiscernible). How may  
I help you?

MICHAEL WEBER: Hi. How are you? This is  
Mike Weber calling.

MALE PARTICIPANT: Hi, Mike.

MICHAEL WEBER: Can you catch me through to  
Steve Burns, please?

MALE PARTICIPANT: Steve Burns -- stand by.

MICHAEL WEBER: Thank you.

MALE PARTICIPANT: You're welcome, sir.

[PAUSE.]

MALE PARTICIPANT: Okay, do you want his  
office or his BlackBerry?

MICHAEL WEBER: His office.

MALE PARTICIPANT: Okay. Here you go.

MICHAEL WEBER: Thanks.

[PAUSE.]

FEMALE PARTICIPANT: Hello?

MICHAEL WEBER: Hi.

FEMALE PARTICIPANT: Mr. Weber?

MICHAEL WEBER: Yeah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 FEMALE PARTICIPANT: Hi, Steve is over in  
2 [ADO's] office in a meeting, in an alignment meeting.  
3 Do you want me to go get him?

4 MICHAEL WEBER: Oh, no, it isn't worth that.  
5 Are Marv or Tripp around?

6 FEMALE PARTICIPANT: Let me check; hold on.

7 MICHAEL WEBER: Thank you.

8 [PAUSE.]

9 MICHAEL WEBER: Charlie, now is not a good  
10 time, (b)(5)

11 CHARLIE: No. I need to see them.

12 MICHAEL WEBER: Yeah.

13 CHARLIE: I'm waiting --

14 MICHAEL WEBER: You're waiting for the call.

15 MARV: Hi, Mike.

16 MICHAEL WEBER: Hi. How are you?

17 MARV: Good. How are you doing?

18 MICHAEL WEBER: Good, thanks. Thanks for  
19 taking the call, Marv.

20 MARV: Sure.

21 MICHAEL WEBER: The reason I'm calling, we  
22 got an interagency call this morning, the Deputies  
23 Committee, and DOJ is going to be standing up what they  
24 call the "Lawyers Group." This is an outgrowth of some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of the senior-level exercises that took place in the  
2 last year.

3 MARV: Okay.

4 MICHAEL WEBER: So I'm just calling to give  
5 you a heads-up that you will probably be receiving a call  
6 later today, or an email -- and I don't know whether it  
7 will come to you or to Tripp or to Steve --

8 MARV: Um-hmm.

9 MICHAEL WEBER: -- to staff this.

10 This is in response to the Japanese  
11 emergencies.

12 MARV: Um-hmm.

13 MICHAEL WEBER: And the kinds of issues that  
14 they want to discuss are very relevant to NRC's  
15 interests.

16 MARV: Um-hmm.

17 MICHAEL WEBER: For example, if private  
18 industry officials become embedded in our team over in  
19 Japan, what are the implications of that? Does that  
20 mean that they are under our direction? Do we have a  
21 financial obligation? All those sorts of things.

22 MARV: "Private industry" -- do, do you mean  
23 private industry based in Japan?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1           MICHAEL WEBER: No, private industry here.  
2           Like, for example, if an INPO person goes over and serves  
3           with our team on the ground in Japan --

4           MARV: Okay.

5           MICHAEL WEBER: -- what are the  
6           ramifications of that decision?

7           MARV: Okay.

8           MICHAEL WEBER: Because we are deploying or  
9           working with INPO to identify somebody that could  
10          provide that support.

11          MARV: Okay.

12          MICHAEL WEBER: You know, there's a  
13          clamoring of, of industry, private sector, wanting to  
14          provide assistance and support.

15          MARV: Right. Right.

16          MICHAEL WEBER: And what we're trying to do  
17          is channel that in a particular way.

18          And it's not unique to the NRC. It's other  
19          agencies, as well, being coordinated through USAID.

20          MARV: Um-hmm, yeah.

21          MICHAEL WEBER: So that's one issue.

22          Another issue is this question about, you  
23          know, what is safe.

24          MARV: Um-hmm.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           MICHAEL WEBER: You know, we have aircrews  
2 that are flying around the Pacific. They're saying,  
3 hey, are we safe? You have people working -- like TSA  
4 and the airports -- are they safe?

5           So that's, these are some of the issues that  
6 this lawyers group would kick around, and provide  
7 high-level advice back to the White House.

8           MARV: Um-hmm.

9           MICHAEL WEBER: Okay?

10          MARV: Yeah. Yeah, the, the "safe" issue  
11 has come up before.

12          MICHAEL WEBER: Oh, yeah. Yeah. I said,  
13 and if they can resolve that in four hours, God bless  
14 them.

15          MARV: Yeah. Yeah, but I, I, if you all have  
16 current questions, I mean right now, about our people  
17 and what our obligations are, I mean I can answer that  
18 now.

19          I could, we could participate in the lawyers  
20 group, I mean, if you have a real question right now  
21 about the safety of our own people.

22          MICHAEL WEBER: No, we are okay with her own  
23 people.

24          MARV: You're okay. All right, that's good.  
25 Um-hmm.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           MICHAEL WEBER: See, it's really more  
2 coordinating the federal government view.

3           MARV: We'll save it, we'll save it for the  
4 lawyers, then.

5           MICHAEL WEBER: Oh, yes.

6           MARV: Okay.

7           MICHAEL WEBER: Okay?

8           MARV: Thanks, Mike.

9           MICHAEL WEBER: Thank you.

10          MARV: bye-bye.

11          MICHAEL WEBER: Bye-bye.

12 [CONFERENCE CALL CONCLUDED.]  
13  
14  
15  
16  
17  
18  
19  
20

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Friday, March 18, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/ 8

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 FRIDAY,

8 MARCH 18, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Saturday, March 19, 2011

Work Order No.: NRC-4222

Pages 1-2

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

FE/9

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 SATURDAY,  
8 MARCH 19, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Sunday, March 20, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/10

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 SUNDAY,  
8 MARCH 20, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Monday, March 21, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/11

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 MONDAY,  
8 MARCH 21, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Tuesday, March 22, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/12



1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 TUESDAY,

8 MARCH 22, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Wednesday, March 23, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/13

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 WEDNESDAY,

8 MARCH 23, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Thursday, March 24, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/14

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 THURSDAY,

8 MARCH 24, 2011

9 + + + + +

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Friday, March 25, 2011

Work Order No.: NRC-4222

Pages 1-2

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

FE/15

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 FRIDAY,

8 MARCH 25, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Saturday, March 26, 2011

Work Order No.: NRC-4222

Pages 1-2

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

FE/16

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 SATURDAY,

8 MARCH 26, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Sunday, March 27, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/17

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 SUNDAY,

8 MARCH 27, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Monday, March 28, 2011

Work Order No.: NRC-4222

Pages 1-5

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/18

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 MONDAY,

8 MARCH 28, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

P-R-O-C-E-E-D-I-N-G-S

[0%U\$PVD600665094]

[CONFERENCE CALL INITIATED:]

TOM BLOUNT: What is that? Eighty, what?

FEMALE PARTICIPANT: Eighty-two-oh-three.

HOLLY HARRINGTON: This is Holly Harrington.

TOM BLOUNT: hi, Holly -- Tom Blown. How  
are you?

HOLLY HARRINGTON: Hi. I'm fine.

TOM BLOUNT: Wonderful. I'm in the Ops  
Center.

HOLLY HARRINGTON: All righty.

TOM BLOUNT: But you're on a recorded line.

HOLLY HARRINGTON: All righty.

And I, I'm just trying to track down -- I  
don't know who CS\_IRT is.

TOM BLOUNT: CS\_IR -- oh, that's the CSO.  
That's the, the --

MALE PARTICIPANT: That's the incident  
response code for computer security.

TOM BLOUNT: Right.

It's the computer security folks.

HOLLY HARRINGTON: Why would you ask them  
to ask the media to do something?

TOM BLOUNT: Oh, it was to take off the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 HOLLY HARRINGTON: Well, I mean I understand  
2 what the request was. I mean this is a map that we've  
3 been fighting through the media since this all started,  
4 and since this is a media website, we'll, we'd be happy  
5 to pursue doing it for this one as well.

6 TOM BLOUNT: Oh.

7 HOLLY HARRINGTON: And we appreciate the  
8 heads up that there was a map still out there with us  
9 on there. I just don't know how you think the security  
10 people should be yelling at the media. That's our job.

11 TOM BLOUNT: Ah, well, because there was a  
12 computer-related link kind of arrangement. That's  
13 what we, we were basing our --

14 HOLLY HARRINGTON: Yeah. What this is, is  
15 a newspaper in the UK.

16 TOM BLOUNT: Okay.

17 HOLLY HARRINGTON: Okay? So we'll go ahead  
18 and pursue that.

19 TOM BLOUNT: Well, thank you.

20 HOLLY HARRINGTON: You're very welcome.

21 TOM BLOUNT: And if you would just kind of  
22 forward that to CS\_IRT and let them know that you got  
23 it, then I think it'll take care of it.

24 MALE PARTICIPANT: Oh, really?

25 HOLLY HARRINGTON: Can you do that from your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 end? Can you simply write back to them and say, OPA  
2 is taking care of it?

3 TOM BLOUNT: Yeah, we --

4 HOLLY HARRINGTON: Yeah, I mean because the  
5 request originally came from you, I think that would  
6 be better if you simply said, stand down; OPA will take  
7 care of it, and then I'll --

8 TOM BLOUNT: Okay. We'll take care of it.

9 HOLLY HARRINGTON: And then I'll go take care  
10 of it.

11 TOM BLOUNT: Beautiful.

12 HOLLY HARRINGTON: Well, whether they'll  
13 remove it or not, I don't know, but I will ask them  
14 to.

15 TOM BLOUNT: Wonderful.

16 HOLLY HARRINGTON: All righty. Thanks.

17 TOM BLOUNT: We're trying to close out the  
18 action item over here.

19 HOLLY HARRINGTON: Yeah, no problem.

20 And if you see it anyplace else -- I mean  
21 it's something we've been trying to stamp out -- you  
22 know, feel free to send me a, a link to wherever it  
23 is that you're also sending it.

24 TOM BLOUNT: Got it. We didn't realize  
25 that, so thank you much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 HOLLY HARRINGTON: No problem.

2 TOM BLOUNT: All righty.

3 HOLLY HARRINGTON: All righty. Bye-bye.

4 [CONFERENCE CALL CONCLUDED.]

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Tuesday, March 29, 2011

Work Order No.: NRC-4222

Pages 1-15

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

FE/19



1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 TUESDAY,  
8 MARCH 29, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

P-R-O-C-E-E-D-I-N-G-S

[0%W!MPI\_00554094]

[CONFERENCE CALL INITIATED:]

[Recorded announcement: "Transferring.  
This call is recorded. If you need the assistance of  
an operations officer, press \*0. Transferring to the  
Executive Team conference."]

MALE PARTICIPANT: Hello?

MALE PARTICIPANT: Hello.

MALE PARTICIPANT: Did we lose him?

MALE PARTICIPANT: We may have lost him. I  
don't hear him.

MALE PARTICIPANT: I think we did.

MALE PARTICIPANT: No. No, we're still  
here. Can you hear us better now?

MALE PARTICIPANT: Oh, okay.

MALE PARTICIPANT: I can hear you a lot  
better at this point.

MALE PARTICIPANT: Okay. And again, the  
decision on, on whether you would want the briefings  
once a day or, or twice a day is really something you  
need to look at in terms of what it takes for you to do  
your, your job.

It does take time for us to, to prepare for  
these, you know, with that taking time from, from other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 activities that we'd be, we would be conducting in the,  
2 in the Operations Center.

3 So, if, if we went down to one, that would  
4 provide us more, more time, consistent time, to be able  
5 to deal with our, our other federal family stakeholders  
6 in the industry and our own creative thinking her, and  
7 not have the -- I don't want to say a disruption -- but  
8 to have the break, the break taken to do this particular  
9 brief.

10 If, if it's really not accomplishing much for  
11 you and you can get it done with one, or if you even want  
12 to try it and see if it works -- and, and again, if  
13 there's something that comes up that is a significant  
14 change, we wouldn't wait. We'd get the second one  
15 scheduled, like we always typically do throughout the  
16 year. We'd get you on the phone and we'd update you on  
17 it.

18 MALE PARTICIPANT: Yeah. Much as Mike  
19 (indiscernible, possibly said earlier), I, I think  
20 it's, we found them very, very valuable. But yeah, I  
21 think we can, we could go to once a day and then let you  
22 guys -- if you feel that there's something that changes  
23 significantly, then, then let us know. And we, we have  
24 faith in you guys to do that.

25 Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 PAT CASTLEMAN: This is Castleman.

2 I guess what I would ask is that the Ops Center  
3 or ET decide or, or make a recommendation on what would  
4 be a good time in terms of what your briefing schedules  
5 are and so forth. So, if we do go to one a day, we can  
6 have an idea of, maybe sometime in the middle of the day,  
7 you know, have a set time.

8 MALE PARTICIPANT: Okay. We can, we can do  
9 that. We can propose an A time and give that a try for  
10 a while.

11 Okay, are there any other questions on any of  
12 the information that we brought forward this evening?

13 BILL ROURKE: Yeah, this --

14 MALE PARTICIPANT: Hey, Roy?

15 BILL ROURKE: -- this is Bill Rourke. Can  
16 you hear me?

17 MALE PARTICIPANT: Hey, Bill.

18 BILL ROURKE: This may be an obtuse comment,  
19 so please, if it is, give me a break.

20 But the Unit 1 reactor pressure vessel and dry  
21 well are intact, but, and we're thinking about flooding  
22 it; right?

23 MALE PARTICIPANT: Correct.

24 BILL ROURKE: Well, you've got a trench full  
25 of water, and it's highly radioactive. I could think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of no better place to put it -- just an observation.  
2 Over.

3 MALE PARTICIPANT: Okay. Appreciate the  
4 comment, Bill. Thank you.

5 BILL ROURKE: It's probably stupid, and if it  
6 is, I'm sorry.

7 MALE PARTICIPANT: No. In fact, that was  
8 one of the things we had heard yesterday, that the  
9 Japanese were considering pumping out of the turbine  
10 buildings, or, the condensers and back in.

11 BILL ROURKE: Well, if they're going to flood  
12 it up, it seems logical to me.

13 MALE PARTICIPANT: Yes.

14 BILL ROURKE: All right. Thank you.

15 MALE PARTICIPANT: Good comment. Thanks  
16 for offering it.

17 PAT CASTLEMAN: This is Pat Castleman. I  
18 have a couple of questions here.

19 One of them is do we have any more information  
20 on radiation health effects off site and on site?

21 MALE PARTICIPANT: Do we have them?

22 MALE PARTICIPANT: Do we have more  
23 information about rad levels on site and off site?

24 DOUG: Bill, this is Doug. I'm, I'm the PMT  
25 director.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I, I don't think we have anything beyond what,  
2 what we had yesterday, at least not -- we haven't gotten  
3 anything recently.

4 PAT CASTLEMAN: Okay, so -- and do we have any  
5 more information on the AMS flights?

6 MALE PARTICIPANT: And this is from  
7 yesterday; right?

8 DOUG: Yeah.

9 And no, not since yesterday, Pat.

10 MALE PARTICIPANT: You got the information  
11 yesterday on AMS?

12 PAT CASTLEMAN: Yeah.

13 MALE PARTICIPANT: Okay.

14 PAT CASTLEMAN: And the next question is,  
15 have we done any more RASCAL runs and NARAC runs?

16 DOUG: We, we haven't done anymore RASCAL  
17 runs. The, NARAC gave us a recent, the recent run that  
18 they had done as of Saturday. We're, we're trying to  
19 see if they're getting any, if they have any additional  
20 runs after that.

21 The one that they did on Saturday used the,  
22 the larger source term. And when we asked them whether  
23 or not they were going to be using the more plausible  
24 source term that we had asked for, (b)(5)

25 (b)(5)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           So we're trying to see now if we can get our  
2 plausible source term in the queue of scenarios that  
3 NARAC is going to be running. We haven't gotten an  
4 answer to that yet. But we would like to see the  
5 plausible scenario run as a, as a benchmark, as a data  
6 point even though we're not absolutely positive that the  
7 source term is, is correct.

8           PAT CASTLEMAN: All right. Okay. Okay,  
9 that's good to know.

10          MALE PARTICIPANT: Break, break: New news.  
11 We got an 1800 report from DOE, and they did include a  
12 couple of new AMS plots in that.

13          PAT CASTLEMAN: Okay.

14          MALE PARTICIPANT: So they get distributed  
15 they didn't get distributed to the PMT yet, but --

16          MALE PARTICIPANT: Right; we haven't gotten  
17 to that point in the reading material.

18          MALE PARTICIPANT: Yeah. I think it's in  
19 the, in the the back there.

20          MALE PARTICIPANT: Is it in here? We're is  
21 still getting through it.

22          MALE PARTICIPANT: So it looks like it,  
23 they've included in there a little bit, you know, of  
24 information from one o'clock today. So there's, so  
25 there's something there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 We'll, there's no reason why --

2 It's unclassified?

3 DOUG: Yeah, it's -- you know, Pat, if you  
4 need some further information on the update and you give  
5 me a few minutes to look it over after the call, I can  
6 get back to you, I mean, if there's any question.

7 PAT CASTLEMAN: Oh, no, that's fine. I just  
8 wanted to know where we were with that. So, you know,  
9 that's all on your normal process, you know, in terms  
10 of evaluating what information is coming in, and you  
11 know, just kind of keeping us updated on that.

12 DOUG: Okay, will do.

13 PAT CASTLEMAN: Yeah, I'm not asking for  
14 anything special. I just wanted to know because the  
15 thing is we haven't gotten a lot of, you know, off-site  
16 information, and it would be certainly good to know.  
17 We're getting some pieces, but you know, it's just, it  
18 would be good to know that, I guess.

19 And then it looks like, you know, some of the  
20 latest status reports said that the radiation levels at  
21 the site (indiscernible; possibly, "are bound to") keep  
22 going down. I don't know if you all have any  
23 information or comment on that.

24 DOUG: No. That, that was what we got at the  
25 beginning of our shift, and that, as far as I know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 hasn't changed.

2 PAT CASTLEMAN: Okay. That sounds good.

3 Now, are there any, do we know if the Japanese  
4 are considering any changes to their protective action  
5 recommendations?

6 DOUG: No. In fact, at the moment, we  
7 understand that they are not making any changes.

8 PAT CASTLEMAN: Okay.

9 Okay, and then as far as our 50-mile  
10 evacuation recommendation, that still stands.

11 DOUG: Yeah.

12 PAT CASTLEMAN: Okay.

13 And then the next question I have is, it, it  
14 gets back to Unit 1. It was reported that they were  
15 talking about, or Tepco was talking about, doing a  
16 nitrogen inerting of the containment. Is that still on  
17 the table?

18 DOUG: Yes, although they had a one-day delay  
19 in getting the nitrogen hooked up and working flow  
20 paths. But that is still their plan.

21 PAT CASTLEMAN: Okay. All right, so a  
22 one-day delay. Okay, good.

23 And then the next question I have -- I, I just  
24 have two more questions, so bear with me.

25 MALE PARTICIPANT: All right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 PAT CASTLEMAN: The latest sit-rep talks  
2 about white smoke coming from the Unit 3 spent fuel pool.  
3 Do we have any elaboration on that?

4 DOUG: No. I'm sorry, Pat and Fred, we  
5 don't.

6 PAT CASTLEMAN: Okay, so we don't know if  
7 it's steam or if it's something else burning in there.

8 DOUG: That, that's correct.

9 We know that when they put water into the  
10 pools on Units 3 and 4, they got a large steam reaction  
11 but, but we don't know if the continual plume is steaming  
12 off of residual water or not. So I think our assumption  
13 has been that it's steam, but we don't, it's not  
14 definitive. There's not a photograph down in where the  
15 fuel is, to allow us to see that.

16 PAT CASTLEMAN: Okay. Okay. And actually,  
17 that's just engendered another question.

18 One of the things the Japanese had asked for  
19 was some shielding, and it wasn't like lead shields. It  
20 would be like a shield structure or something like that.  
21 Have there been any developments on that front?

22 DOUG: Not that I'm aware of, Pat.

23 PAT CASTLEMAN: Okay. Okay.

24 And then, then -- really, this is my last  
25 question unless something triggers something else --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 regarding AC power restoration, where do they stand with  
2 that?

3 DOUG: Pat, the last I heard, they got  
4 control room lighting back on Unit 4 today, finally.

5 I don't know -- they had talked earlier about  
6 a temporary 4-kV switch gear, but it's been fairly quiet  
7 on that. And I, I think I, the last time I answered a  
8 question on that is the mega results that they were  
9 getting were not good. And, and since that time, it's  
10 been pretty quiet, other than lighting and Control Room  
11 4.

12 PAT CASTLEMAN: Okay. Okay, and that  
13 includes like their attempts to reestablish control  
14 room ventilation, then, I imagine.

15 DOUG: That -- you know, I don't know  
16 specifically, but I believe that's correct. We have  
17 not heard -- I haven't heard, anyway -- that they've  
18 gotten control room HVAC back.

19 PAT CASTLEMAN: Okay.

20 MALE PARTICIPANT: You know, in terms of  
21 using that power they brought in from, through the  
22 temporary buses, we, other than lighting up the control  
23 rooms, we haven't seen a whole lot in terms of how  
24 they're using that.

25 We did, we did hear that the freshwater

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 injection into three units had transitioned to  
2 temporary electric pumps, but there were indications  
3 that those were being powered by generators.

4 PAT CASTLEMAN: Okay.

5 MALE PARTICIPANT: Right, the portable  
6 generators that they brought on site.

7 MALE PARTICIPANT: Right.

8 PAT CASTLEMAN: Yeah. Yeah, that makes  
9 sense.

10 I guess -- well, I, I have another question  
11 -- and this gets back to the reestablishment of AC power  
12 and, and the contaminated folks in Unit 3.

13 They were trying to string, you know,  
14 electrical cables and so forth and had to evacuate. So  
15 do we know any more about where they stand with the  
16 watering Units 2 and 3, turbine (indiscernible;  
17 possibly "buildings")?

18 DOUG: The, the last we heard was they were  
19 looking for a place to dewater to, I believe.

20 PAT CASTLEMAN: Okay, so that gets to what  
21 Bill Rourke has mentioned earlier about maybe just  
22 pumping it back into the containment then.

23 DOUG: Correct. And, and as Brian said,  
24 they have discussed that internally.

25 They, they were worried about, about, not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 contamination in terms of radioactive contamination,  
2 but in terms of things that would block flow paths and  
3 degrade the pumps was what we understood their  
4 reservation in that respect was.

5 PAT CASTLEMAN: Okay. Okay, well, that does  
6 it on my questions.

7 Thank you.

8 MIKE: Okay, Mike (indiscernible) -- I've  
9 got a question for you.

10 This morning, Mike Weber had mentioned that  
11 Secretary Chu had recommended that for the water,  
12 freshwater injection, that the freshwater would be, it  
13 would be preferable to have de-aerated water injected,  
14 and it was left at, that the NRC was going to -- and the  
15 RST -- was going to evaluate that proposal.

16 Where, where do we stand this evening with  
17 that option?

18 MALE PARTICIPANT: Mike, that was embedded  
19 through the federal family and through INPO and Cappell,  
20 and Dennis, and others as well, and did not come to a  
21 similar conclusion.

22 DOE supported the approach that the NRC had  
23 put forward.

24 So on the CVTS call today, I just indicated  
25 the path that we were looking at, at taking and didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 talk about any of the behind-the-scenes work with regard  
2 to the Secretary. I just addressed the fact that we've  
3 completed our work in an interagency and industry  
4 manner, and the belief was that was the right place to  
5 be.

6 MIKE: Okay. Thank you.

7 MALE PARTICIPANT: Any other questions?

8 (No response.)

9 MALE PARTICIPANT: Okay, we will get back to  
10 you tomorrow with a time that is preferable for us, and  
11 if there's any certain times that clearly don't work for  
12 you, we'll find a middle ground.

13 PAT CASTLEMAN: Okay, that sounds good to me  
14 but I guess, for the moment then, we're still on for 7:30  
15 tomorrow, then.

16 MALE PARTICIPANT: Yeah. Until we make the  
17 change, we'll be on at 7:30.

18 MALE PARTICIPANT: Excellent. Thank you.

19 MALE PARTICIPANT: All right. You all have  
20 a good evening.

21 Mike Franovich, are you still on?

22 MIKE FRANOVICH: I am.

23 DOUG: Can you give me a call; (b)(6)

24 MIKE FRANOVICH: You cut out on the last

25 (b)(6)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DOUG: (b)(6)

2 MIKE FRANOVICH: (b)(6) good.

3 Got it.

4 MALE PARTICIPANT: Thanks, everybody.

5 MALE PARTICIPANT: Good night.

6 MIKE FRANOVICH: Good night.

7 MALE PARTICIPANT: Good night.

8 [CONFERENCE CALL CONCLUDED.]

9  
10  
11  
12

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ET TABLE BACKUP 2 AUDIO FILES

Docket Number: (n/a)

Location: (n/a)

Date: Wednesday, March 30, 2011

Work Order No.: NRC-4222

Pages 1-2

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

*FE/20*



1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 JAPAN'S FUKUSHIMA DAIICHI  
5 ET TABLE BACKUP 2 AUDIO FILES

6 + + + + +

7 WEDNESDAY,

8 MARCH 30, 2011

9 + + + + +

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 (No audio was recorded on the above-referenced phone  
2 line on the above-referenced date.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)