

# UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: BRIEFING ON PROPOSED CHANGES TO PART 100

Location: ROCKVILLE, MARYLAND

Date: MARCH 1, 1994

Pages: 67 PAGES

**SECRETARIAT RECORD COPY**

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS  
1323 Rhode Island Avenue, Northwest  
Washington, D.C. 20005  
(202) 234-4433

# DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on MARCH 1, 1994, in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

NEAL R. GROSS  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING ON PROPOSED CHANGES  
TO PART 100

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission  
One White Flint North  
Rockville, Maryland

Tuesday, March 1, 1994

The Commission met in open session,  
pursuant to notice, at 10:00 a.m., Ivan Selin,  
Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission  
KENNETH C. ROGERS, Commissioner  
FORREST J. REMICK, Commissioner  
E. GAIL de PLANQUE, Commissioner

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

STAFF SEATED AT THE COMMISSION TABLE:

JOHN HOYLE, Assistant Secretary

WILLIAM C. PARLER, General Counsel

JAMES TAYLOR, Executive Director for Operations

WILLIAM RUSSELL, Director, Office of Nuclear Reactor  
Regulation

THEMIS SPEIS, Deputy Director, Office of Research

LEONARD SOFFER, Section Leader, DSIR, RES

FRANK CONGEL, Division of Rad. Protection and  
Emergency Preparedness

ANDREW MURPHY, Chief, Structural and Seismic  
Engineering Branch, RES

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

P-R-O-C-E-E-D-I-N-G-S

10:00 a.m.

CHAIRMAN SELIN: Good morning, ladies and gentlemen.

We're pleased to welcome representatives from the staff to brief us on a number of new options for revising the Part 100 reactor siting criteria. This has been one of the more difficult issues facing the Commission at least in the several years that I've sat on the Commission. I personally am quite impressed with the approach taken in this current document, but it does leave the number of questions that are open and I'm sure the Commissioners will be very interested in hearing the approaches and investigating the options a little bit further.

We were first briefed in 1992 on Part 100 prior to issuing the rule for public comment and have been updated on this. The current proposal represents a rather significant rethinking of some of the directions in this proposal generally quite consistently with the guidance the Commission has given to the staff up until now. But as I said, given the novelty of some of the ideas and just the fact that it presents options rather than a plan, we'd be very interested in filling in some of the detail for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the general lines that are laid out in the SECY.

2 Copies of the viewgraphs are available.

3 Commissioners?

4 Mr. Taylor?

5 MR. TAYLOR: Good morning. With me at the  
6 table, starting at my right, Andy Murphy, Len Soffer,  
7 Themis Speis from the Office of Research, Bill Russell  
8 and Frank Congel from the Office of Nuclear Reactor  
9 Regulation.

10 Mr. Chairman, the staff will discuss a  
11 number of options which were presented to the  
12 Commission in a paper dated January 26th of this year  
13 and we'll also recommend a specific option, namely  
14 that a modified rule be pursued by the staff. We  
15 believe we can -- if the Commission agrees, we can  
16 proceed to prepare such a modified rule in a  
17 reasonably fast way.

18 I'll now ask Doctor Speis to continue.

19 DOCTOR SPEIS: Thank you, Mr. Taylor.

20 Mr. Chairman, Commissioners.

21 (Slide) Viewgraph number 1, please.

22 This viewgraph shows the outline of the  
23 presentation. I will provide some background on the  
24 siting rule and set the stage for what we'll be  
25 proposing today. We'll have a brief summary of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 public comments on the proposed rule. Enclosure 2 and  
2 3 to this SECY paper, of course, goes into great  
3 detail and, in addition, includes our analysis. And  
4 also we discussed the comments extensively at the last  
5 meeting which was in August 1993. I will then  
6 summarize the reasons why we think we should still go  
7 forward and revise the siting rule. Then, of course,  
8 we'll spend most of the time today on the options  
9 considered, both the non-seismic ones and the seismic  
10 ones. Then, of course, we will produce with our  
11 recommendations.

12 (Slide) The next viewgraph provides some  
13 of the background for the stage.

14 The present rule dealing with reactor site  
15 criteria again was issued in 1964 and basically it has  
16 remained unchanged since that time. The key part of  
17 the rule involves the postulation of the release of a  
18 large amount of fission products in the containment  
19 and then this fission product which is defined in the  
20 so-called TID-14844, together with the leakage of the  
21 containment, is utilized to evaluate the doses at the  
22 exclusion boundary and the low population zone  
23 boundaries. Then these are compared with the Part 100  
24 dose guidelines, the 25 rem whole body and the 300 rem  
25 to the thyroid.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           Part 100 couples plant design and site  
2           very closely. In fact, the Part 100 itself has no  
3           numeric criteria for the sizes of the EAB and the LPZ.  
4           It allows unlimited plant design and siting tradeoffs  
5           that are, in fact, discouraged by standardization.  
6           This coupling, we have said this before many times,  
7           has been used by the staff in the past to derive  
8           "acceptable" site parameters by manipulating the  
9           effectiveness of the engineering safety features.  
10          That was one of the motivations that we were  
11          recommending that we pursue the new rule which its  
12          essence is decoupling the siting from the design.

13                 The only numerical guidance in Part 100  
14                 involves the proximity of the nearest population  
15                 center in relation to the LPZ. This is the one and  
16                 one-third times the outer radius of the LPZ.

17                 The staff in 1975 defined numerical  
18                 guidelines in Reg. Guide 4.7 based on the experience  
19                 of the previous ten years or so and this is what has  
20                 been used since that time.

21                         COMMISSIONER REMICK: Would you summarize  
22                         what those are?

23                         DOCTOR SPEIS: Yes. They are the .4, the  
24                         size of the EAB and the 300 -- excuse me, 500 persons  
25                         per square mile up to 40 miles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 COMMISSIONER REMICK: Yes.

2 DOCTOR SPEIS: Okay. The issue of siting  
3 has been almost continuously in the forefront of the  
4 Commission's and the staff's agenda since the early  
5 days of licensing. The Commission directed the staff  
6 back in 1979 to look into this issue again and a  
7 siting policy task force was set up. I understand  
8 that Bill Parler was one of the members of that task  
9 force, as well as Len Soffer, as well as Frank Congel.  
10 One of the major recommendations was that the siting  
11 criteria should be developed "to strengthen siting as  
12 a factor in defense in depth."

13 Also, the Kemeny Commission report which  
14 investigated the TMI accident, one of its  
15 recommendations was "NRC should be required to locate  
16 new power plants in areas remote from concentration of  
17 population."

18 Also, Congress got into the act and in  
19 1980 authorized and directed the NRC to develop and  
20 promulgate establishing demographic requirements for  
21 siting nuclear power plants.

22 (Slide) Continuing with the background on  
23 the next viewgraph, subsequently the NRC issued an  
24 advanced notice of proposed rulemaking on reactor  
25 siting in 1980, but was withdrawn in 1981 to await

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 development of safety goal and improved understanding  
2 of severe accident source terms.

3 Now we're coming to the proposed rule,  
4 which again involves both the non-seismic as well as  
5 the seismic issues. As I said already, this rule was  
6 the culmination of a number of studies and discussions  
7 with the Commission over a period of two years. The  
8 key to the proposed rule was the decoupling of siting  
9 from plant design and which basically involves the  
10 replacement of existing siting dose calculation  
11 requirements with explicit requirements for site  
12 characteristics. Those explicit requirements are the  
13 size of the exclusion area and the population density,  
14 which basically are the values that were and are in  
15 the reg. guide, the 4.7. So, the attempt was to  
16 codify those values in the rule itself.

17 Also, the proposed rule talks about the  
18 physical characteristics that could pose significant  
19 impediment to development of emergency plants and  
20 they're to be identified and likewise an evaluation of  
21 man-related hazards is required.

22 (Slide) Page 4.

23 Our evaluation of the proposed rule, we  
24 have received of course extensive comments. They are  
25 extensively discussed in this paper as well as in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 previous Commission paper. The major non-seismic  
2 comment was that source terms and dose calculations  
3 should be retained for siting. Industry and  
4 international groups felt that the rule was overly  
5 conservative, too prescriptive and rigid and not  
6 amenable to different reactor designs and incompatible  
7 with concerns of the international community.

8 The public interest groups felt that  
9 siting criteria should be made more restrictive. For  
10 example, they wanted us to go to 50 miles instead of  
11 30 miles and backfit numbers like .4 to existing  
12 plants, or the ones that cannot meet, shut them down.

13 Seismic comments centered on the relative  
14 role of probabilistic versus deterministic  
15 assessments. We have reconsidered the proposed rule  
16 and we recommend that the non-seismic part of the  
17 proposed rule not be adopted, but again a siting  
18 rulemaking should go forward.

19 (Slide) The next viewgraph summarizes  
20 very briefly the reasons that we recommend to the  
21 Commission that we proceed with rulemaking. To  
22 incorporate experience, resource and technology  
23 advancements, particularly in the geosciences since  
24 the present regulation and advances such as more  
25 understanding and knowledge about ground motion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 historic records of earthquake. We have developed a  
2 PRA framework which can be utilized to assess  
3 uncertainties which did not exist before.

4 The second item is to allow consideration  
5 of severe accident insights in the design of the next  
6 generation plants separately from site acceptability  
7 issues. Here we're talking about appropriate design  
8 of mitigation systems utilizing the real science, what  
9 is the characteristics of the source term,  
10 characteristics of severe accidents instead of the  
11 arbitrarily chosen TID source term?

12 Of course, last but not least, to  
13 strengthen siting of future reactors as part of NRC's  
14 defense-in-depth as recommended by independent groups.

15 COMMISSIONER REMICK: Question. The  
16 second bullet, to allow consideration of severe  
17 accident insights in the design of the next generation  
18 plants separately from site acceptability issues, but  
19 hasn't that been done for the evolutionary designs?

20 DOCTOR SPEIS: It is being done.

21 COMMISSIONER REMICK: So, I don't  
22 understand why that's a reason for proceeding with a  
23 siting rulemaking? It seems to me that's already been  
24 accomplished in 93-087.

25 MR. RUSSELL: You're correct in that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 have through the choice of site parameters found ways  
2 of addressing these issues basically using atmospheric  
3 dilution and controlling that as a parameter for the  
4 particulars of the design. But there are other  
5 issues, not so much for light water reactor designs  
6 but for other designs. For example, CANDU-3. The  
7 source term would likely be different in some respects  
8 from what you see for a light water reactor. The dose  
9 that you're using to measure, whether it's 25 rem  
10 whole body or 300 rem to the thyroid may not make much  
11 sense if we're talking about total equivalent dose  
12 where you're looking at the total effect.

13 So, these issues, I think, would argue  
14 that it is time to update to reflect what we are doing  
15 in practice in the regulations.

16 COMMISSIONER REMICK: But you haven't  
17 changed my view that accommodating severe accident  
18 issues for the new plants has already been  
19 accommodated by prior staff recommendations and  
20 Commission action.

21 MR. RUSSELL: In that context, you're  
22 correct. We are typically using this as a surrogate  
23 for those which are within design basis where you're  
24 doing those types of dose calculations. Once you get  
25 into severe accident space you're no longer talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 about a dose at the exclusion area boundary. So, the  
2 features and what we're looking at, where we're going  
3 into features for addressing severe accidents are not  
4 the type of design basis events for which we do  
5 deterministic calculations and use a figure of merit,  
6 in this case a dose to judge acceptability or not.  
7 So, it's within the context of design basis for  
8 different designs other than light water reactor where  
9 I see that there's some merit in updating, at least  
10 eliminating the footnote and recognizing that  
11 different source terms are going to exist for  
12 different types of reactors, different fuel designs  
13 potentially. And also to address the issue as to what  
14 really is the figure of merit that you want to use.  
15 Is it dose to the thyroid? Iodine may not be the  
16 isotope of interest for a different design reactor.  
17 Or do you want to go to a total effective dose  
18 equivalent and be consistent with Part 20 and then  
19 have a consistent level of risk toward risk-based  
20 regulations?

21 So, I think these are important features  
22 to consider. It's really more to the first point plus  
23 risk-based regulation approach than to reflect what  
24 we've done. The severe accident issues, you're  
25 correct, we are addressing those in the evolutionary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 designs without this --

2 COMMISSIONER REMICK: I'm not necessarily  
3 differing with what you say. It just seems like the  
4 second bullet --

5 DOCTOR SPEIS: Commissioner Remick, we're  
6 doing it on a plant-specific basis, as Bill said. But  
7 we would like to update. There are so many small  
8 things and I think the world should know ahead of time  
9 what's there so they can proceed instead of going  
10 through a year of negotiations.

11 COMMISSIONER REMICK: I don't differ with  
12 you on it.

13 DOCTOR SPEIS: But the statement, yes,  
14 this will --

15 COMMISSIONER REMICK: Another question on  
16 the third bullet. It says to strengthen siting of  
17 future reactors. What is meant by that?

18 MR. SOFFER: Basically we were trying to  
19 say that we would put out basic siting criteria, a  
20 list of basic siting principles or siting criteria  
21 that we've proposed in the Commission paper and that  
22 I'll be talking about shortly that we believe would  
23 promulgate and would show the basic safety  
24 requirements for all reactor sites.

25 COMMISSIONER REMICK: It's the word

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 "strengthen" that I was questioning. How are we  
2 strengthening? What has been past practice and more  
3 recent --

4 MR. SOFFER: It's not really a differing  
5 from practice, but it is, I believe, for the first  
6 time a listing in a regulation.

7 COMMISSIONER REMICK: Right. Okay.

8 DOCTOR SPEIS: We will talk more about it.  
9 In fact, Len should go forward with his presentation.  
10 If there are no more questions, Len will proceed with  
11 the heart of the presentation.

12 MR. SOFFER: Thank you, Doctor Spies.

13 (Slide) Could we have viewgraph number 6,  
14 please?

15 I'd like to talk about the non-seismic  
16 options that we examined. I'm just going to list them  
17 briefly in this viewgraph and then discuss them in  
18 more detail in some of the following ones.

19 We considered looking at withdrawing the  
20 proposed rule and retaining the present rule. We  
21 looked at issuing the proposed rule as a final rule.  
22 We considered looking at specifying a reduced minimum  
23 value of the exclusion area boundary in the rule but  
24 specifying population density in a regulatory guide.  
25 We considered stating basic site criteria in Part 100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 with numerical values to be in the regulatory guides  
2 and relocating the dose calculations to Part 50. And  
3 finally, we considered retaining the form of the  
4 present rule, but using it with updated source terms.

5 (Slide) Could I go to the next viewgraph,  
6 please?

7 Option 1 would be retaining the present  
8 rule. Basically this would involve withdrawing the  
9 proposed rule and retaining the present Part 100 as it  
10 is. That is, using the TID-14844 source term, using  
11 Reg. Guide 4.7. That is, it is basically the no-  
12 change option.

13 The pros associated with this option are  
14 quite obvious. It's a familiar one and it provides  
15 flexibility to accommodate a number of different  
16 designs. The arguments against this option, we  
17 believe, are pretty significant. Number one, it  
18 references an outmoded source term and one that is not  
19 being used any longer in actual plant design. As  
20 we've stated, it's not really a siting regulation. It  
21 permits an almost unlimited degree of plant design and  
22 siting tradeoffs that are really discouraged by  
23 standardization policy and it does not include some  
24 recent recommendations such as security considerations  
25 and it doesn't address recommendations that groups

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 such as the Kemeny Commission made in regard to  
2 reactor siting.

3 COMMISSIONER REMICK: By security  
4 considerations you mean whether the site can be made  
5 adequately secure?

6 MR. SOFFER: Yes, can a security plan be  
7 developed and implemented for the site.

8 MR. RUSSELL: Principally looking at the  
9 minimum radius you would need for standoff or the  
10 rulemaking activities that are currently underway  
11 looking at vehicle threats with explosives.

12 MR. SOFFER: (Slide) Could we have the  
13 next viewgraph, please?

14 The second option that we looked at would  
15 be issuing the proposed rule in final form. This  
16 would specify a minimum exclusion area boundary of .4  
17 miles, population density of 500 people per square  
18 mile in the rule and source terms and doses would be  
19 relocated to Part 50. The major advantage that we see  
20 of doing this is that there would be possibly a  
21 reduction of some administrative hearing litigation  
22 issues once the rule was issued. Against this is the  
23 argument that this is a highly prescriptive and a  
24 rigid rule. It has no flexibility to accommodate  
25 different reactor designs and strong objections have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1       been raised against this proposed rule by a very broad  
2       spectrum, including not only the industry but also the  
3       public and the international community as well.

4                       (Slide)     If we could have the next  
5       viewgraph.

6                       A third option that we looked at was  
7       having a reduced but a fixed exclusion area boundary  
8       in the rule and specifying population density in the  
9       reg. guide. The advantage of this is that it provides  
10      a better basis for an exclusion area size based upon  
11      updated source terms. For example, where active  
12      engineered safety features are provided, revised  
13      source term insights as well as revised estimates of  
14      fission product cleanup system performance suggests  
15      that a reduced exclusion area boundary size on the  
16      order of about a quarter of a mile perhaps --

17                      COMMISSIONER de PLANQUE: Is that number  
18      consistent with the security requirements that you  
19      were just addressing?

20                      MR. RUSSELL:     It is larger than.  
21      Typically for the security requirements we're looking  
22      at something on the order of 100 meters.

23                      COMMISSIONER de PLANQUE: Okay.

24                      MR. SOFFER: So, yes, we believe that with  
25      good active engineered safety features, good spray

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 systems, good filter systems for example, we believe  
2 that revised insights could suggest that a quarter of  
3 a mile would satisfy the dose requirements of Part  
4 100. We believe that this could provide some reduced  
5 litigation and some reduced international concerns,  
6 but it would eliminate flexibility for different  
7 reactor designs as long as you mention a number in a  
8 rule and a fixed exclusion area distance in a rule  
9 would not completely eliminate some of the concerns of  
10 the international users and the international  
11 community.

12 The fourth option that we looked at was  
13 one of stating site criteria in Part 100 and putting  
14 dose criteria in Part 50. We would state basic site  
15 criteria in Part 100 and relocate the dose criteria in  
16 Part 50 to reflect the fact that the dose calculations  
17 have, in fact, influenced plant design more than they  
18 have siting. What they have typically influenced is  
19 things like minor changes in containment leak rate, in  
20 spray system performance, in filter system performance  
21 rather than large changes in actual size of an  
22 exclusion area boundary.

23 The advantages of this would be that it  
24 would retain dose calculations and source term  
25 calculations and this was strongly supported by almost

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 all of the commentators. But it would emphasize that  
2 these were being used for plant design purposes.  
3 Consequently it has the flexibility to accommodate  
4 different designs. There would, of course -- as Mr.  
5 Russell points out, there might have to be different  
6 source terms developed for different kinds of designs.  
7 A CANDU reactor might not necessarily have the same  
8 source terms as a light water reactor. By stating  
9 basic site criteria in the rule, we believe it would  
10 strengthen the role of siting. It would not actually  
11 reflect a change in practice, but it would be for the  
12 first time, we believe, a clear enunciation of what  
13 these basic site criteria were.

14 COMMISSIONER ROGERS: Just before you  
15 leave that, Mr. Soffer, is there any possibility of  
16 tradeoffs between design parameters and site  
17 parameters in this option? Is that completely  
18 eliminated or not? I couldn't quite tell.

19 MR. RUSSELL: The variable with the  
20 approach that we're taking with standardized design  
21 reviews and design certification of specifying a  
22 dilution factor as a site parameter which must be met  
23 basically makes the exclusion area boundary the  
24 variable. So, if you have a site with adverse weather  
25 conditions, you will need to have a larger exclusion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 area boundary for that site. If you have a site which  
2 has very good dispersion characteristics, you would  
3 have a shorter exclusion area boundary for that site.  
4 But the design features are all fixed. The safety  
5 analysis has been completed. The parameters of the  
6 physical design are controlled, the design of spray  
7 systems, et cetera.

8 CHAIRMAN SELIN: That's different examples  
9 of a particular design.

10 MR. RUSSELL: That's for a particular  
11 design.

12 CHAIRMAN SELIN: But you could have from  
13 say the passive reactor to the evolutionary reactor.

14 MR. RUSSELL: That is correct.

15 CHAIRMAN SELIN: You could end up with  
16 different site characteristics.

17 MR. RUSSELL: We have -- the parameters  
18 are essentially the same. That is the atmospheric  
19 dispersion is the same for both the Combustion  
20 Engineering and the ABWR. We would expect that we  
21 would have that parameter for the passive designs as  
22 well. There is a difference in the numerical value  
23 which is a function of the design and some of the  
24 flexibility that was chosen. For example, increasing  
25 leak rate for valves, main steam isolation valves, et

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 cetera, to provide operational flexibility.

2 So, there have been a number of tradeoffs  
3 between operational flexibility and others that go  
4 into the design feature of the facility. All those  
5 tradeoffs are done and considered in the design  
6 certification review and it's done through the  
7 surrogate of using atmospheric dispersion. So, that  
8 becomes then the interface with siting. So, for any  
9 particular design on a site, when you choose that site  
10 and marry it up, you may have different exclusion area  
11 boundaries that are necessary in order to show that  
12 the atmospheric dispersion for that particular site at  
13 that location is within the certified design for the  
14 design you've chosen.

15 COMMISSIONER REMICK: I had some questions  
16 in this same area. One, I'm not sure how what you  
17 propose accounts for the very strong and I think  
18 nearly unanimous comments that one should not  
19 decouple. As I understand, you are proposing  
20 decoupling. But it's not clear to me when you say  
21 relocates dose criteria in Part 50, what specifically  
22 are we talking about? I assume you say dose. It's  
23 the 25/300, but in what way? As it is now, if we're  
24 relocating it's tied to exclusion area boundary and  
25 LPZ. Would we be taking those type of relationships

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and putting them in Part 50, which then I would see  
2 that it would be a tie in with siting? I'm not quite  
3 sure what you mean by you're going to move the dose.

4 And one other comment. When you move the  
5 dose, the question comes to mind are we going to look  
6 at those from an updated perspective of ICRP or are we  
7 talking about total effective dose equivalent, are we  
8 talking about whole body dose and thyroid dose in the  
9 past and so forth? Lots of questions come to mind  
10 when I read those words, but I don't know which you  
11 propose.

12 MR. SOFFER: Yes. To answer your second  
13 question first, our thoughts were that when the doses  
14 were transferred to Part 50 we would be talking total  
15 effective dose equivalent. This is because, of  
16 course, there are differences between the ratios of 25  
17 rem whole body and 300 rem thyroid. We've looked at  
18 that. In addition, when one looks at an updated  
19 source term, one realizes, of course, that there are  
20 other nuclides and other body organs that may be  
21 involved. Consequently, in order to accommodate the  
22 insights of a revised source term, you also want to  
23 accommodate to a more updated and more consistent  
24 notion from doses.

25 So, yes, we were going to look at total

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 effective dose equivalent. We were contemplating  
2 simply transferring those numbers to Part 50 to say,  
3 for example, that an individual at the exclusion area  
4 boundary should not receive more than 25 rem total  
5 effective dose equivalent two hours or so after the  
6 onset of the release or something of that sort.

7 COMMISSIONER REMICK: But that would not  
8 be used to set the exclusion area boundary.

9 MR. RUSSELL: No. The answer to the first  
10 part of your question -- that was the second piece.  
11 The first part we would still propose to do a  
12 calculation. It would be based upon using an  
13 atmospheric dilution to get the dose to a person at a  
14 location, but we would not specify the distance. We  
15 would, in fact, specify the dilution that has to be  
16 achieved in the same manner that we have done for the  
17 evolutionary design reviews and what we're doing now.  
18 So, it's similar to what I described. So, there is  
19 still, for design basis events, a surrogate  
20 calculation that looks at the effectiveness of the  
21 design features with an assumed dilution to a location  
22 and then compares it to the total effective dose  
23 equivalent so that becomes the figure of merit that's  
24 used then in making judgments about the design and how  
25 to do tradeoffs within the design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER REMICK: Okay. Now, in  
2 setting that total effective dose equivalent, are you  
3 looking at it from any standpoint from risk  
4 perspective? Any guidance that that safety goals  
5 might provide? And a related question. Are we  
6 talking -- you're apparently talking about the fence  
7 post person. Have you considered the critical group?  
8 In other words, are we updating ourselves with current  
9 type of approaches?

10 DOCTOR SPEIS: Commissioner Remick, you  
11 have raised this question many times.

12 CHAIRMAN SELIN: You're finally prepared  
13 to answer.

14 COMMISSIONER REMICK: I thank you for  
15 remembering.

16 DOCTOR SPEIS: As recently as at the last  
17 PRA briefing. Your question is to get a risk  
18 perspective between 25 and the 300. There are two  
19 questions that you have raised in the past. One of  
20 them is the comparison between the two numbers as far  
21 as the risk, and then the safety goal.

22 COMMISSIONER REMICK: Yes. The total  
23 effective dose equivalent takes care of the  
24 relationship between thyroid and whole body.

25 DOCTOR SPEIS: We looked at that carefully

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and we used the latest BEIR V numbers and we found out  
2 that the 25 rem whole body leads to a higher fatality  
3 risk than the 300 rem to the thyroid, for fatality.

4 COMMISSIONER REMICK: Yes.

5 DOCTOR SPEIS: By a factor of 10. When we  
6 compare the two as far as the incidence, then the  
7 difference is only a factor of two higher for the 25  
8 rem to the whole body.

9 (Slide) And we have that backup  
10 viewgraph. The first one shows the numbers that we  
11 have utilized for this purpose.

12 MR. SOFFER: I might add that the basic  
13 reason why there's a factor of ten difference in  
14 fatality and only a factor of two difference in  
15 incidence is that thyroid cancer is quite highly  
16 treatable, so that the fatality rate is rather low.

17 DOCTOR SPEIS: So then, therefore, this  
18 leads us that if we talk about doses in the future we  
19 have to use effective dose equivalent where you weigh  
20 the organs.

21 COMMISSIONER REMICK: I don't want to go  
22 into detail now on this backup slide, but one  
23 question. I see a  $10^{-3}$ . What is that?

24 DOCTOR SPEIS: That's the deaths per rem  
25 and this is a number which is -- there are two numbers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 there. One of them involves the two hour period. If  
2 the dose is absorbed over a two hour period, then the  
3 number is  $10^{-3}$ . If you're talking about a day or  
4 more, then it's  $5 \times 10^{-4}$  deaths per year.

5 COMMISSIONER REMICK: But once again, what  
6 is the  $10^{-3}$ ? I'm not sure I understand.

7 DOCTOR SPEIS: It's deaths per rem. It's  
8 the coefficient.

9 MR. SOFFER: That's the risk of latent  
10 cancer facility per rem if the dose is received at a  
11 rather high rate. That comes from BEIR V.

12 COMMISSIONER REMICK: So you're not using  
13  $5 \times 10^{-4}$ , you're using  $10^{-3}$ ?

14 MR. SOFFER: Right. We've been told by  
15 our people that the risk coefficient of  $5 \times 10^{-4}$  is  
16 appropriate if the dose is being received over a  
17 period of about a day or more.

18 DOCTOR SPEIS: Day or more.

19 MR. SOFFER: But if you're talking about  
20 a two hour period, in this case it probably is closer  
21 to a  $10^{-3}$ .

22 MR. RUSSELL: But this gets back to the  
23 earlier comment I made that the emphasis on going  
24 toward a risk-based approach and looking at different  
25 designs, going to total dose equivalent and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

1 choosing which would be developed in a proposed  
2 rulemaking package for Commission consideration, which  
3 is the appropriate. Whether it's 25 rem whole body or  
4 total dose equivalent or it's 300 or whether it's  
5 prevention of cancer or its fatalities, those could be  
6 addressed at that time and it would be then codified  
7 by choosing the surrogate that is used, in fact, for  
8 these design tradeoffs.

9 COMMISSIONER REMICK: You have not  
10 included in here the probability of the occurrence of  
11 the release. That's one thing you have not included.

12 MR. SOFFER: That's right, we have not.

13 COMMISSIONER REMICK: So, it's a  
14 conditional risk.

15 MR. SOFFER: That's right.

16 COMMISSIONER REMICK: So, if you're going  
17 to make comparison with safety goals and so forth, you  
18 have to factor in what, a  $10^{-6}$ ? I think you state in  
19 your report that's a probability of bypass  
20 containment.

21 MR. RUSSELL: We believe that for the new  
22 designs, the CE and ABWR where we have completed our  
23 review efforts, they're on the order of  $10^{-6}$  for core  
24 damage. You still have then, beyond that, the  
25 containment performance and the conditional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 containment failure probability for bypass or large  
2 release for the BWR is on the order of 10 percent.  
3 And I believe for CE it was also on the order of 10 or  
4 11 percent. I'd have to check the second number.

5 COMMISSIONER REMICK: Yes. I think in  
6 your paper -- I'm not disagreeing with you, Bill. In  
7 your paper I think you say something like  $10^{-6}$  to  
8 assume bypass.

9 DOCTOR SPEIS: Or early containment  
10 failure.

11 COMMISSIONER REMICK: Or early containment  
12 failure, yes. But I agree. If you have  $10^{-6}$  core  
13 damage frequency, it's going to be smaller than that.  
14 Okay. So that isn't really a risk, it's a conditional  
15 risk. I don't want to get into your -- I'll have to  
16 study that.

17 CHAIRMAN SELIN: But I do. I'd like to  
18 follow up on two of Commissioner Remick's points.

19 As I read your document and now as I look  
20 at your second backup chart, what I think you're  
21 saying is if we follow the BEIR V rules, any  
22 reasonable reactor performance will far exceed the  
23 safety goal. The 25 millirem as an exposure in a  
24 conditional case multiplied by the probabilities that  
25 these events would occur would lead to much lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 cancer rates, fatality rates, et cetera, than a safety  
2 goal would imply. So, the safety goal is not a  
3 defining factor on -- well, eventually on the  
4 exclusion area zone.

5 MR. RUSSELL: As we're using it for design  
6 basis events in a stylized calculation, you still have  
7 the severe accident issues which go beyond that.

8 CHAIRMAN SELIN: But it's not that you've  
9 ignored the safety goals, but to be consistent with  
10 BEIR V, which is also one of our principles, one  
11 automatically not only meets but exceeds the safety  
12 goals in the design basis situation.

13 More plainly, I'd like to come back to  
14 this coupling question. I think you've understated  
15 what you've done in the way of accommodating to the  
16 comments. We're talking about siting with regard to  
17 really standardized reactors. Therefore, the siting  
18 criteria are tied to the designs of the standardized  
19 reactors. You will not permit, and I think it's  
20 consistent with our theory of standardization, that  
21 somebody put in some non-standard features into an  
22 otherwise standard reactor to compensate for a  
23 defective site. But if we get to another reactor  
24 design that has superior safety characteristics or a  
25 lower source term, then you would end up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 translating this into sizes of exclusion area zones or  
2 other features. You would end up with smaller  
3 exclusion area zones.

4 DOCTOR SPEIS: Yes. Yes.

5 MR. RUSSELL: That's correct.

6 CHAIRMAN SELIN: So, the criteria are  
7 coupled not to the individual site specific reactor,  
8 but to the class of reactors.

9 DOCTOR SPEIS: Classes, yes.

10 CHAIRMAN SELIN: In other words, to the  
11 standard design. So, it's not correct to say that  
12 we've thrown out coupling, but rather we've done it on  
13 a standard site versus standard design and not allowed  
14 otherwise unsatisfactory sites to be compensated for  
15 by a non-standard execution of a standard design. But  
16 what site would be acceptable for reactor design 1  
17 might be -- or unacceptable for reactor design 1 might  
18 be acceptable for reactor design 5 if the reactor  
19 design 5 had superior risk or containment features or  
20 what have you. Is that correct?

21 DOCTOR SPEIS: Right. Thank you for  
22 clarifying our presentation.

23 CHAIRMAN SELIN: Well, I'm serious.

24 DOCTOR SPEIS: No, no.

25 CHAIRMAN SELIN: If somebody came in with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 a double steel containment and did different  
2 calculations, the acceptable site would be different  
3 from the ones that are --

4 DOCTOR SPEIS: That's correct.

5 COMMISSIONER ROGERS: Well, I think this  
6 has been a very helpful discussion because this is a  
7 point that wasn't clear to me. I think somehow the  
8 language that's come out of this discussion ought to  
9 appear someplace to clarify this.

10 DOCTOR SPEIS: It has to be clarified in  
11 the rule itself, of course.

12 COMMISSIONER ROGERS: Somehow, because I  
13 think that that's an issue that's an important issue  
14 and it just wasn't very clear in what we had in front  
15 of us.

16 CHAIRMAN SELIN: I'd also like to point  
17 out I told you to do this last time and you did it.  
18 So, you at least ought to get credit for that in the  
19 sense that decoupling is relevant for class of  
20 reactors, but what we don't permit is individual  
21 compensatory measures for other non-standard science.

22 DOCTOR SPEIS: And going back to your last  
23 point, Mr. Chairman, where you talk about the numbers  
24 in relation to the safety goal, in fact the QHO, the  
25 quantitative health objectives for latent cancer which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 is a safety goal of  $2 \times 10^{-6}$ , they can be met for these  
2 numbers even if we assume that we have core melt  
3 probability of around  $2 \times 10^{-2}$ . So, we're way within  
4 and, of course, you know that number is  $10^{-4}$ .

5 COMMISSIONER REMICK: I notice that you  
6 indicate that your calculations indicate that an EAB  
7 of .25 would meet safety goals. I notice that in the  
8 NUMARC response, if that's the response using MELCOR -  
9 - excuse me. They indicated .25. You indicate a  
10 tenth of a mile. Have you looked at that difference?  
11 They indicate with MELCOR, they calculate it.

12 MR. SOFFER: We have not specifically  
13 compared with MELCOR, no.

14 COMMISSIONER REMICK: Okay. Before  
15 leaving this, just one comment and I don't claim to  
16 remember BEIR V that much right now, but I do remember  
17 my impression that  $5 \times 10^{-4}$  in my mind is quite  
18 conservative. There's a factor in there, and I forget  
19 the name of it now, that ranges between two and 20 and  
20  $5 \times 10^{-4}$  was arrived at by using a factor of about two  
21 rather than one could argue or some people argue a  
22 factor of 20. And therefore it's very conservative  
23 from the standpoint of this question of dose spread  
24 over a long period of time versus a short period of  
25 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 I hope what you've done in using  $10^{-3}$  is  
2 the risk coefficient in BEIR V, not taking somebody's  
3 value and saying, "Well, if the dose is accumulated  
4 over a short period of time, it's a factor of X over  
5 what it is over a long period," and applied that times  
6  $5 \times 10^{-4}$ , because I think  $5 \times 10^{-4}$  is already conservative  
7 from that standpoint. I just throw that out as a  
8 thought and don't hold me to the fact that I know what  
9 I'm talking about. But it's a memory going back to  
10 about 1990 looking at BEIR V.

11 MR. SOFFER: We'll go back and check that.

12 COMMISSIONER REMICK: Okay.

13 DOCTOR SPEIS: These numbers, we checked  
14 them with our in-house expert, Doctor Yanif, but we  
15 will revisit them again.

16 COMMISSIONER REMICK: Right. And I  
17 understand not to take a ratio of  $5 \times 10^{-4}$ , but look  
18 what is the risk coefficient for something  
19 administered over two hours or a short period of time.

20 MR. SOFFER: (Slide) Could we go on to  
21 viewgraph 11, please?

22 This viewgraph is a listing of what we  
23 would propose as basic reactor site criteria. We  
24 think that they are -- this is a succinct but a fairly  
25 complete listing of the basic site criteria for siting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 power reactors. We would have a requirement that the  
2 site atmospheric dispersion factors of dilution  
3 characteristics should be evaluated and must be  
4 evaluated and plant interface criteria established  
5 such that doses for normal operation would be met as  
6 well as radiological consequences of postulated  
7 accidents to a hypothetical individual at the  
8 exclusion are boundary would be acceptable.

9 Then we would have requirements that the  
10 physical characteristics of the site would have to be  
11 evaluated and plant interface criteria established  
12 such that these would pose no undue risk to the plant.  
13 As an example, this would be seismology  
14 characteristics or flooding characteristics of the  
15 site that in turn would be translated into criteria  
16 that the plant would have to meet.

17 Similarly there would be a requirement  
18 that any man related activities in the site vicinity,  
19 nearby transportation routes, industrial hazards, et  
20 cetera, would have to be evaluated and plant interface  
21 criteria established such that these would pose no  
22 undue risk. As an example, if it turned out that  
23 there was large quantities of chlorine, for example,  
24 that were stored or transported near the site, then an  
25 example of an interface criteria would be that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 automatic chlorine detectors would have to be  
2 installed in the control room, which is a common sort  
3 of feature in many of our plants.

4 COMMISSIONER REMICK: Now, those things  
5 have been reviewed in the past. Are they in what,  
6 standard review plan or reg. guide not specified in  
7 the rule? How is that --

8 MR. SOFFER: There is a standard review  
9 plan at the present time that addresses that and it's  
10 a probabilistic criteria that's an evaluation. It's  
11 Standard Review Plan Section, I believe, 2.2.3 that  
12 has that requirement. But we believe that it should  
13 be reflected in criteria as well.

14 Finally, we would have site  
15 characteristics must be such that adequate security  
16 plans could be developed and adequate emergency plans  
17 can be developed. Finally we would have a statement  
18 that reactor sites must be located away from densely  
19 populated centers, but this would not have any  
20 numerical criteria in the rule itself.

21 COMMISSIONER REMICK: Len, has any thought  
22 been given to the word "must" in that? An initial  
23 reaction I had, and certainly I don't think anybody  
24 wants one of these plants in a dense populated site.  
25 It's very difficult for me to imagine that somebody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 would propose it. I can't imagine the NRC ever  
2 agreeing to it and I can't imagine an applicant going  
3 to a licensing hearing in opposition to the staff on  
4 this issue. So, the thought went through my mind is  
5 the word "must," has that been considered whether  
6 that's needed versus something that -- well, "should"  
7 comes to mind. I just ask the question has thought  
8 been given to that word "must?"

9 MR. SOFFER: I don't think that we've  
10 fully explored that, in all honesty.

11 COMMISSIONER REMICK: And what would the  
12 international community feel about that? I realize we  
13 write our regulations for our own use, but sometimes  
14 a word can make a big difference.

15 CHAIRMAN SELIN: The thing that's changed  
16 since last time is we haven't defined what you mean by  
17 densely populated sites. So, it would be a question  
18 of relative density, that given that the United States  
19 has a certain average density, we would expect these  
20 to be in relatively sparse areas. But in a country  
21 where the average density were higher, this was done  
22 so that -- say among available sites, pick those that  
23 are less densely populated, but not say that it's  
24 unsafe to have a greater density than some particular  
25 number. I think that was the logic behind --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. SOFFER: Yes. The intent was that it  
2 could reflect the obvious differences that do exist  
3 among different countries and different types of  
4 regions of countries, in fact.

5 COMMISSIONER REMICK: But it's the word  
6 "must." For example, something that the Chairman said  
7 reminds me. When we do the Part 51 NEPA review where  
8 the question of is there a superior site and so forth,  
9 and even in that one would consider if there was a  
10 site that was more sparsely populated and it was an  
11 acceptable site under NEPA considerations in Part 51,  
12 we would not find acceptable. So, it's very difficult  
13 for me in the United States to imagine anybody  
14 proposing it, but I can't preclude it. I certainly  
15 don't feel that the Agency would ever agree and I  
16 can't imagine anybody pursuing it and differing with  
17 the Agency. So, just a question.

18 CHAIRMAN SELIN: I have a proposal that  
19 might meet Commissioner Remick's concepts and be more  
20 consistent with Part 51 and I would like you to think  
21 about that. We have the concept of ALARA in  
22 radiation. Without trying to be flip, something about  
23 a site that's as good as reasonably achievable is a  
24 concept that I personally would like to see in the  
25 rule, which is more like the Part 51. It doesn't say,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 "Thou shalt not use a site with these  
2 characteristics," but says, "Among sites that are  
3 reasonably achievable, you should put a high weight on  
4 certain of these characteristics." It's not must or  
5 should, but that when you're looking at population  
6 density, the rule ought to specify -- this is  
7 something that should be very seriously taken into  
8 account. Among acceptable sites, a high weight should  
9 be put on those that have lower rather than higher  
10 density.

11 I mean you've laid out a number of  
12 criteria and I personally would like to see some  
13 language and some guidance more like the Part 51, more  
14 consistent with that, that says how do you use these  
15 criteria? And the answer is, you try to meet as many  
16 of them as possible among sites and with some guidance  
17 as to what's more important to us than others without  
18 flat out saying that the population density must be  
19 below a certain amount or the interaction with  
20 highways must be a certain point.

21 The ALARA concept -- it's not so easy  
22 because you don't have a single quantity to measure  
23 the way you do an ALARA, but the concept of choosing  
24 among sites, otherwise acceptable sites, with a real  
25 eye to these parameters as opposed to an absolute I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 think is an important one. I think we recognize it  
2 already in Part 51 and I personally would like to see  
3 that reflected in the rule and then you don't get into  
4 a question of is it must or should. We would be  
5 saying, all else being equal, try to find a site with  
6 lower density. That's very important to us.

7 COMMISSIONER REMICK: And that's generally  
8 consistent with what I had in mind. I think Part 51  
9 leads us in that direction.

10 COMMISSIONER ROGERS: Just one other  
11 point. It may be a trivial one, but somehow the  
12 notion that this is really initial siting that we're  
13 talking about--

14 MR. SOFFER: Yes, it is.

15 COMMISSIONER ROGERS: -- ought to be very  
16 clear, because with license renewal as a possibility  
17 after 40 years a great deal can change and we have  
18 seen many times that sites that were picked for a  
19 particular purpose because nobody lived there became  
20 more attractive for residential communities around  
21 airports and things of this sort and then all of a  
22 sudden those considerations were no longer applicable.  
23 I think that some way ought to be provided here to  
24 make sure that we're talking about an initial siting.

25 I don't know what the relevance is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 license renewal, but, if we're talking about the  
2 siting of a brand new plant that 40 years later comes  
3 up for license renewal, there could be a change in the  
4 situation and if this "must" is taken very seriously  
5 for all time that might pose a problem. So I would  
6 just ask that some thought be given to the long term  
7 applicability of this requirement.

8 MR. SOFFER: That's a very good point,  
9 Commissioner.

10 (Slide) If we could go on to viewgraph  
11 number 12, finally the last option that we considered  
12 among the non-seismic portions of the rule is  
13 retaining the present form of the rule but using  
14 updated source terms rather than going along with TID-  
15 14844, which everybody recognizes at this point is  
16 outmoded, that is to simply use new source terms but  
17 retain the present form of the rule.

18 There are a number of pros associated with  
19 this. It utilizes updated source terms. It is  
20 flexible. It also has the familiarity, except for the  
21 fact of using a new source term.

22 There is a major disadvantage to this  
23 option and that is that it basically does not address  
24 the problems associated with the present form of the  
25 rule, that is that the present form of the rule allows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 such unlimited trade-offs between plant design and  
2 siting in terms of small changes here and there that  
3 it is not really a siting regulation.

4 CHAIRMAN SELIN: It's highly prescriptive  
5 and it's not adapted to the world of standardized  
6 reactor designs.

7 MR. SOFFER: It's not really adapted to  
8 the world of standardized designs, that's right. It  
9 can be made -- it can be force fit, but it's not  
10 really well adapted to it, I would say.

11 (Slide) And consequently, turning now to  
12 number 13, as far as our non-seismic recommendations  
13 are concerned, the staff is recommending that we do  
14 not adopt the proposed rule issued for comment in  
15 October of 1992.

16 Instead, we are recommending that Part 100  
17 be revised to incorporate basic site criteria  
18 including the requirement that reactors be sited away  
19 from densely populated centers -- however there would  
20 be no numerical criteria that would appear in the rule  
21 itself, rather these would be stated in regulatory  
22 guides -- and that source term and dose calculations,  
23 including updated source terms, would be used to  
24 provide improved designs for plant design.

25 The staff considers option 4 to be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 performance based standard that permits severe  
2 accident insights to be applied in Part 50 towards  
3 plant design while more clearly stating reactor site  
4 criteria and principles in Part 100, and for that  
5 reason this is our recommended option.

6 With that, I will turn it over to my  
7 colleague, Andy Murphy, who will talk about the  
8 seismic aspects.

9 COMMISSIONER REMICK: Len, before we do  
10 that, just a couple questions.

11 MR. SOFFER: Yes?

12 COMMISSIONER REMICK: Once again, a  
13 question of just understanding. As I understand it,  
14 by putting the dose in Part 50, which I generally  
15 think is a good idea, the designer has a design and a  
16 source term. Through some mechanism he develops a  
17 source term and then aside from a probabilistic  
18 approach he assumes there is a release, and with that  
19 then there is some kind of a standard atmospheric  
20 dispersion model that the designer uses to make sure  
21 that the dose at the exclusion area boundary meets the  
22 dose limit. So, by doing that in the design there  
23 then is a proposed EAB, exclusion area boundary. Is  
24 that right?

25 MR. SOFFER: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. RUSSELL: No. There is a proposed  
2 atmospheric dispersion with that design, and what  
3 typically occurs is that they then look at what is  
4 known about current sites and whether what they're  
5 proposing would be accommodated by most sites or not  
6 to get a feel for how realistic is the atmospheric  
7 dispersion.

8 There's one other point I'd like to make.  
9 This is not just dose at the exclusion area boundary  
10 that could be controlling for a particular design.  
11 Control room habitability and dose to the control room  
12 and the dispersion to the control room could also be  
13 controlling.

14 COMMISSIONER REMICK: No, but I'm talking  
15 about the relationship to the exclusion area boundary  
16 now. I'm trying to understand. The hypothesized  
17 release based on a source term has a standard model,  
18 atmospheric model, and therefore he sees what type  
19 exclusion area boundaries might be required with that.  
20 If that looks like it's not reasonable, he can modify  
21 the plant to cut down the source term release.

22 MR. RUSSELL: In fact, there is guidance  
23 within the EPRI requirements document that the  
24 industry has adopted with some recommendations as it  
25 relates to the owner controlled areas and those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 generally are larger, but they are guidelines.

2 We felt it was not necessary to specify an  
3 actual radius but to control based upon the dispersion  
4 factor and leave that up to the industry as to whether  
5 they felt that was so conservative that a number of  
6 sites would be excluded or they want to make the  
7 dispersion factors larger and thereby have to actually  
8 control containment leakage more tightly, valve  
9 closure times, et cetera. So, this really was a  
10 vehicle for looking at what the releases are to the  
11 atmosphere and then choosing a location as a  
12 surrogate.

13 COMMISSIONER REMICK: Okay. I'll assume  
14 that's an answer yes.

15 Now let me go to the siting. I'm not  
16 quite sure you're going to not have numbers in the  
17 Part 100 siting. You're going to have numbers in the  
18 reg guides, but I don't know what those numbers are  
19 now. We've taken dose out. We're going to have  
20 population density guidance. Are we going to have  
21 exclusion area boundary guidance?

22 DOCTOR SPEIS: Yes.

23 COMMISSIONER REMICK: And what is that?  
24 I don't think that was specified. I felt the staff  
25 was perhaps thinking about .25, but it wasn't clear.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DOCTOR SPEIS: We could come up with walk-  
2 away numbers, for example. Maybe we could start with  
3 the ones in the present Reg Guide 4.7 or possibly  
4 start with a .05.

5 COMMISSIONER REMICK: You haven't decided.

6 DOCTOR SPEIS: We haven't finalized a  
7 number.

8 COMMISSIONER REMICK: Okay.

9 DOCTOR SPEIS: But we are talking about  
10 putting numbers in the reg guides, including possibly  
11 walk-away numbers.

12 COMMISSIONER REMICK: How about 30 miles?

13 DOCTOR SPEIS: If you meet this number,  
14 then you don't have to do --

15 CHAIRMAN SELIN: Well, it's a surrogate.  
16 It basically says it's a --

17 DOCTOR SPEIS: Yes, that's right. Yes.

18 CHAIRMAN SELIN: So, if you meet this  
19 test, you don't have to go any further.

20 DOCTOR SPEIS: Yes.

21 CHAIRMAN SELIN: If you don't, then you  
22 have to actually do --

23 DOCTOR SPEIS: Yes.

24 COMMISSIONER REMICK: How about the 30  
25 miles? Have you thought about what's the relationship

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 between the safety goals where you have one mile and  
2 ten miles? What I'm looking for is some kind of  
3 philosophical consistency where it makes sense for the  
4 Agency to do it.

5 MR. SOFFER: We haven't really thought  
6 of -- you know, we had done some preliminary analyses  
7 to try to estimate whether the 30 miles and the 500  
8 people per square mile was a reasonable number and  
9 based on some very preliminary analyses it looked like  
10 it was a slightly conservative number, but we really  
11 haven't explored it in any greater detail.

12 COMMISSIONER REMICK: Okay. Well, I just  
13 remind you that, as you indicated earlier, that the  
14 Commission at one time held off the siting until you  
15 had a safety goal and a better understanding of severe  
16 accident, so I just hope that as we redo these things  
17 that we try to consistently incorporate some kind of  
18 a consistent approach in what we're doing. I don't  
19 know what the answer is, but I just hope that that  
20 thought process is going on.

21 CHAIRMAN SELIN: I'd like to add something  
22 to what Commissioner Remick said about this population  
23 density point. I'm leery about putting in numbers for  
24 population densities in outside areas because of two  
25 things. One is they far exceed the safety goal. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 know, you do the safety goal calculations and clearly  
2 you would tolerate sites that would violate those  
3 numbers that still meet the safety goal.

4 The second is we're saying look at sites  
5 that have low density compared to other sites that are  
6 reasonably achievable. So, in a specific licensing,  
7 if somebody wanted to put something in a close Chicago  
8 suburb, we would push them towards some other area.

9 And the third point is those numbers will  
10 just make problems for us 15 years later when somebody  
11 comes in and says, if we require 500 people per square  
12 mile and now there are 2,000 people who all moved  
13 there because the schools are wonderful and the tax  
14 breaks are there, then it's very hard for us to  
15 justify continuing to operate the plant. We know the  
16 plant is quite safe because of the safety goals. So,  
17 it seems to me putting numbers for the outside zones  
18 into the reg. guide are not needed for safety and will  
19 just cause us serious, serious problems later on in  
20 the life of the plant.

21 It's one thing to say these are initial  
22 figures, but you're not changing the exclusion area  
23 zone. A lot of this material will basically not  
24 change during the time period, presumably the  
25 atmospheric, et cetera. But to take something so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 variable and then to be so specific about it is just  
2 to set a trap for ourselves and I just don't see any  
3 real benefit to do that.

4 MR. SOFFER: I agree.

5 COMMISSIONER REMICK: Now we're ready to  
6 go into the simple stuff, the seismic area, right?

7 MR. MURPHY: (Slide) May I have the next  
8 viewgraph, 14?

9 What I propose to do this morning is to  
10 provide a brief review of the rule as it's published,  
11 go over the comments that we have received, touch on  
12 the options that we have suggested and then touch on  
13 what we are actually recommending.

14 The first viewgraph, 14, indicates that  
15 the rule as published in October of '92 proposed a  
16 dual approach making use of both probabilistic and  
17 deterministic and of giving equal weights to those two  
18 approaches. Another item that is characteristic of  
19 that rule as out for public comment was that we  
20 permitted the use of both or either the EPRI or the  
21 Livermore probabilistic seismic hazard approach. To  
22 do this we made use of a relative criteria based upon  
23 the Commission policy statement.

24 (Slide) The next viewgraph, number 15,  
25 please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 By way of general thoughts on this, the  
2 equal weighting was pointed out to us in the public  
3 comments as being reasonably difficult to achieve if  
4 not impossible. There was considerable discussion of  
5 this and it was well noted and pointed out to the  
6 staff.

7 Another important aspect that can  
8 implement the comments was that the site specific  
9 investigations are a very important part of the  
10 process and they should not be abandoned or set aside.

11 COMMISSIONER REMICK: Would you elaborate  
12 on that because I wasn't aware that you would be  
13 setting them aside under either deterministic or  
14 probabilistic?

15 MR. MURPHY: No, we were not. It's just  
16 that we wanted to make certain that it's understood  
17 that the site specific was an important part of the  
18 process and that we wanted to retain it and the public  
19 wanted it retained.

20 Under the domestic comments, there was  
21 quite a divergent series of comments on how to use the  
22 probabilistic or the deterministic analysis, which was  
23 the better way to go and if we were going to mix the  
24 two of them, how we were going to mix them. Where we  
25 did come to some consensus is that we got comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 from the NUMARC/EPRI folks and they recommended an  
2 integrated probabilistic/deterministic approach, again  
3 as noted here with a specific emphasis on the  
4 probabilistic part of it.

5 We also received an important comment  
6 package from the U.S. Geological Survey and, again,  
7 here they recommended that the probabilistic results  
8 be checked by a simplified deterministic analysis.  
9 They did not require that we treat these equally and  
10 they suggested in discussions that these could be --  
11 a simplified check could be put into the standard  
12 review plan. They also recommended that we have a  
13 program to update and review the probabilistic methods  
14 and their databases on about a ten year basis.

15 COMMISSIONER REMICK: Does that seem  
16 reasonable, the ten year basis? How big an effort is  
17 that to update?

18 MR. MURPHY: I think it would be a major  
19 effort, but something that we could handle within the  
20 program as we envision it at this stage.

21 COMMISSIONER REMICK: This would be NRC  
22 effort?

23 MR. MURPHY: This would be an NRC effort.

24 COMMISSIONER REMICK: With USGS, I  
25 presume.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. MURPHY: With USGS or other agencies  
2 such as DOE that may want to cooperate in such a  
3 program.

4 COMMISSIONER de PLANQUE: I find the word  
5 "checked" an interesting word. In a prior briefing we  
6 talked about what would the degree of agreement have  
7 to be between the two methods and I believe a number  
8 like ten percent was floating around at the time.  
9 Were any comments made specifically on what was meant  
10 by checking and to what degree?

11 MR. MURPHY: No, there were no specific  
12 comments as to what was meant by checking.  
13 Particularly there was no ratio or proportions  
14 suggested. At this stage, the staff has not written  
15 that part of the document and we have not made the  
16 decision to come to agreement on how to handle that  
17 check.

18 COMMISSIONER de PLANQUE: That was going  
19 to be my next question, how do you anticipate actually  
20 doing that and is the ten percent that you discussed  
21 earlier realistic?

22 MR. MURPHY: At this stage --

23 COMMISSIONER de PLANQUE: You don't know  
24 yet.

25 MR. MURPHY: -- the answer is we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 know yet.

2 COMMISSIONER de PLANQUE: Okay.

3 MR. MURPHY: We do recognize that it's  
4 something we do have to carefully examine.

5 (Slide) 16.

6 Here I note the comments from the  
7 international community. The first bullet refers to  
8 a series of comments that we received from foreign  
9 commentators that I would classify as policy related.  
10 Here these folks were concerned about the maturity of  
11 the probabilistic analysis and the ability to apply  
12 that to a particular country. They also noted that  
13 the staff, NRC staff, as noted in the public comment  
14 package, had not come to a full consensus on how to  
15 address the probabilistic versus deterministic  
16 question. I'll address that in the next viewgraph.

17 CHAIRMAN SELIN: I wanted to ask a  
18 question.

19 MR. MURPHY: Sure.

20 CHAIRMAN SELIN: Japan and Taiwan are both  
21 very densely populated countries. Is there some  
22 reason to believe that probabilistic analysis would be  
23 harder to apply in a highly dense population than in  
24 a different -- I mean in other words, is this just  
25 sort of a disinterested academic observation or would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 it cut their programs differently for the way it cuts  
2 our programs?

3 MR. MURPHY: As I understand the process,  
4 it would not depend on the population density of the  
5 country. We have done our calculations and the  
6 development of the probabilistic methods independent  
7 of the density, the density of the population.

8 COMMISSIONER de PLANQUE: In other words,  
9 you're saying this grouping of countries is just  
10 coincidental?

11 MR. MURPHY: I believe so. I don't know  
12 of a connection between them in that way.

13 The second group of countries provided  
14 what I call mixed comments. Here these were more  
15 technical in nature, telling us the things that they  
16 specifically liked about the way we were doing things,  
17 about the definitions they were using and making  
18 suggestions on how they could be improved.

19 (Slide) Viewgraph 17 contains a statement  
20 on the staff recommendations as far as the content of  
21 the siting portion of the rule is concerned.  
22 Specifically, the staff is recommending a  
23 probabilistic approach with some other parameters to  
24 be established on a deterministic basis. This  
25 approach would be described in a series of regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 guides, standard review plan sections and was  
2 developed following a series of discussions with the  
3 folks at the U.S. Geological Survey.

4 COMMISSIONER de PLANQUE: All right. Hold  
5 on.

6 MR. MURPHY: Okay.

7 COMMISSIONER de PLANQUE: Will this  
8 involve this notion of having to check the  
9 probabilistic against the deterministic or are they  
10 isolated now?

11 MR. MURPHY: In this particular first  
12 sentence they're isolated. The first sentence simply  
13 refers to developing the probabilistic material and  
14 getting it to the point where a deterministic check  
15 would be made by the staff.

16 COMMISSIONER de PLANQUE: Okay.

17 COMMISSIONER REMICK: Andy, once again I  
18 have a question of understanding the words. We're  
19 talking about a hybrid approach, a dual approach in  
20 deterministic and probabilistic. Deterministic, I  
21 assume, we look at a history of earthquakes, we look  
22 at faults and whether those faults are -- and I forget  
23 the adjective.

24 MR. MURPHY: Capable.

25 COMMISSIONER REMICK: Capable, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 Capable faults and so forth. We look at attenuation  
2 and we come up basically with a proposed magnitude and  
3 a ground acceleration for a particular site. The  
4 probabilistic, using I guess the EPRI or -- it's  
5 Lawrence Livermore, isn't it? Yes, methods, one looks  
6 at the probability of earthquakes of different sizes  
7 occurring and comes up with a hazard curve.

8 MR. MURPHY: That's correct.

9 COMMISSIONER REMICK: And from that then  
10 on some kind of a probability you select a ground  
11 acceleration. Is that right?

12 MR. MURPHY: That's essentially correct,  
13 yes.

14 COMMISSIONER REMICK: Okay. All right.  
15 And from that, once you have a ground acceleration you  
16 can derive a response vector, I guess, for that site.

17 Now, I go back to 93-087 on the design  
18 side. What I'm getting at here, I want to make sure  
19 that all these things couple. What the staff  
20 recommended and the Commission approved, I believe, as  
21 I understood it in 93-087 is the designers would not  
22 have to do a seismic PRA. They would take the PRA  
23 that's required, identify systems, structures and  
24 components that are important and which were designed  
25 from the design basis SSE, the .3 tenths g in the case

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 of the evolutionary plants, I guess, and then look  
2 at -- say, suppose we had a large earthquake, a one  
3 and two-thirds times the -- say equivalent to .5, and  
4 then look at those systems and components, structures  
5 that are important and see what margin they have,  
6 whether they would survive a .5 g. Am I correct?

7 MR. MURPHY: That's correct.

8 COMMISSIONER REMICK: Okay. I'm  
9 interested that these things fit together.

10 MR. RUSSELL: Let me describe how they fit  
11 together. I anticipated this question a little bit.  
12 We have basically looked for margin in the design of  
13 the facility beyond the design basis.

14 COMMISSIONER REMICK: Right. These are  
15 severe accidents.

16 MR. RUSSELL: The Commission's position  
17 was that we should look for at least .5 g beyond  
18 design. In fact, the two designs we reviewed thus far  
19 have margins that are on the order of .6 or slightly  
20 better than .6 g. When you look at that design on the  
21 current sites for which we've done the seismic hazard  
22 analysis, that is the controversy that exists between  
23 the EPRI, Livermore analysis and now that that  
24 difference has gotten to be much smaller, if you take  
25 that and you put a .6 g acceleration with a spectra on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the more highly seismically active sites potentially,  
2 Seabrook, Sequoyah, we find that the probability of  
3 exceedence of that margin is  $10^{-5}$  and the difference  
4 between where -- and that's for Hycliff. That's a  
5 single point that may be controlling. When you  
6 convert that into what would be core damage, you're  
7 probably on the order of  $10^{-6}$ . That is, there's  
8 probably in reality some substantial margin between  
9 your first Hycliff and where you would really expect  
10 to see core damage from a seismically induced event.

11 For Callaway, which is down near the New  
12 Madrid, it's on the order of  $10^{-6}$  and so it would even  
13 be smaller.

14 So, what we're seeing is that the seismic  
15 contribution to CDF for current sites is on the order  
16 of magnitude of the internal events. They are not  
17 substantially different. That's what we achieved when  
18 we basically said do this with some margin because we  
19 can address that in design as to how that's done and  
20 it's very difficult to do because the uncertainty in  
21 how you characterize the sites, how you handle expert  
22 opinion, et cetera, some of the uncertainty in return  
23 periods. Although that has been reduced over the last  
24 two years with additional work and we hope to finalize  
25 that report and publish it for all the sites in final

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 form yet this summer.

2 COMMISSIONER REMICK: Okay. Now, the  
3 coupling of these two is you take the information from  
4 the specific site. You've got a ground acceleration  
5 and you've developed a response spectra for that site  
6 and you compare it with what the designer did at the  
7 design certification stage, what he assumed.

8 MR. RUSSELL: Correct.

9 COMMISSIONER REMICK: And the response  
10 spectra he assumed and see if one is within the other.

11 MR. RUSSELL: That's correct. The second  
12 reason for including margin is that we don't want to  
13 exclude that design being put on a site even though  
14 there may be some areas of the spectral acceleration  
15 which is exceeded. For example, if there's high  
16 frequency content that's exceeded, they would have to  
17 do additional work to justify why that's acceptable.

18 COMMISSIONER REMICK: Sure.

19 MR. RUSSELL: So, what we've done is we've  
20 characterized it as a walk away, that if the design  
21 spectra totally encompasses the site specific spectra,  
22 you're done and there's no further review. If there  
23 are exceedences in some areas, that would require  
24 additional review to show why that is still  
25 acceptable, and that was one of the purposes for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 including the margin.

2 COMMISSIONER REMICK: At one point in an  
3 earlier meeting, and Andy probably remembers which  
4 previous meeting it was, but I was concerned that on  
5 one side we're telling people you don't have to do a  
6 seismic PRA and on the siting we were talking about a  
7 probabilistic approach and there's inconsistency if we  
8 aren't going to require a seismic PRA. But I think  
9 that has been answered.

10 MR. RUSSELL: Okay. The major advantage  
11 I see to a seismically developed hazard is that you  
12 are looking at many earthquakes, at distances rather  
13 than necessarily the one which is nearest the site  
14 which is capable. I see this balance between the two.  
15 That is the need for a rather in-depth site  
16 investigation to assure that you don't have any near  
17 field effects which you have overlooked when you  
18 develop a probabilistic base which is based upon  
19 historical record and what you've characterized by way  
20 of tectonics, et cetera.

21 So, the two, I think, are coupled in the  
22 approach and I think it's very consistent with what  
23 we're proposing.

24 COMMISSIONER REMICK: Thank you.

25 MR. MURPHY: Okay. Then we'll touch on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the last bullet on 17. That's simply to state out  
2 front that the options that we have suggested under  
3 the seismic area concern the format of the rule rather  
4 than the technical content

5 (Slide) Specifically, going to 18, the  
6 staff examined two possible formats. The first  
7 considered maintaining a separate Appendix B and that  
8 is to keep it in effect as it was published, or to  
9 eliminate the Appendix B and to incorporate the basic  
10 requirements into the regulation itself, the Part 100.  
11 Both of these options or formats would make use of  
12 streamlined regulation language. Here, again, we'd go  
13 back in there and try to remove the extraneous  
14 material that we really don't need either in the  
15 regulation or in the appendix.

16 At this stage, the staff recommendation is  
17 to go with the second option and that is to eliminate  
18 Appendix B, to maintain the requirement language in  
19 the Part 100 itself, and then to proceed with comment  
20 resolution and preparation of the final rulemaking  
21 package.

22 COMMISSIONER REMICK: I assume technically  
23 there's no difference, it's just a preference.

24 MR. MURPHY: That's correct.

25 With that, I'll turn it back over to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Doctor Speis, if there are no other questions.

2 DOCTOR SPEIS: (Slide) Well, finally then  
3 is summarizing what has been said. We recommend that  
4 we do not adopt the non-seismic provisions of the  
5 proposed rule which was issued in October '92. We  
6 recommend that we go forward and revise the Part 100  
7 to incorporate the basic siting criteria that we  
8 talked about, so-called Option 4, including  
9 requirement that reactors be sited away from densely  
10 populated centers. However, some type of numerical  
11 criteria would be in regulatory guides. We would  
12 recommend that the source term be updated and the dose  
13 calculations be in Part 50 to reflect the influence  
14 that they have on the plant design. And, as Andy  
15 said, withdraw proposed Appendix B to Part 100,  
16 streamline content of the seismic portion of Part 100  
17 and proceed with comment resolution and preparation of  
18 the final rule.

19 With that, we have completed our  
20 presentation, Mr. Chairman and Commissioners.

21 CHAIRMAN SELIN: Commissioner Rogers?

22 COMMISSIONER ROGERS: All of my questions  
23 that I came into the meeting with have been answered  
24 very satisfactorily, I think, and I really want to  
25 commend the staff for first really being willing to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 back and rethink that whole issue of the proposed  
2 rule. Once you've put something out with a lot of  
3 thought in it, it's, I'm sure, not so easy to decide  
4 that the whole thing has to be scrapped. But in this  
5 case that seemed to be pretty much the wisest course  
6 of action and I really want to say that I felt that  
7 this was a very helpful and very detailed presentation  
8 and I commend the staff for it.

9 CHAIRMAN SELIN: Commissioner Remick?

10 COMMISSIONER REMICK: One question I meant  
11 to ask and did not, but it can be handled in a  
12 briefing paper from the staff. I remember back in  
13 your proposed rule, I believe you were going to target  
14 exceedence probabilities based on current plants. I  
15 didn't understand the basis for that. I would  
16 appreciate sometime just an explanation, it need not  
17 be done now, why -- the technical basis for doing  
18 that. I can understand what it means and so forth,  
19 but I won't take the time here. But I would  
20 appreciate a follow-up on that.

21 MR. MURPHY: We'd be pleased to do that.

22 COMMISSIONER REMICK: Okay. I agree with  
23 what Commissioner Rogers has just stated. I think the  
24 staff should be congratulated for going back and  
25 taking seriously the comments and so forth. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 apologize to my colleagues for asking such detailed  
2 questions, but it was just to make sure that I  
3 understood what the words meant. So, it's been very  
4 helpful to me also without the paper. This SECY is  
5 much better because you do give the history of this  
6 siting rule and so forth.

7 In that, one thing I would like to  
8 emphasize. The Commission, I know, gave very serious  
9 consideration at the time it decided to not proceed  
10 with the siting rule until it knew a little bit better  
11 where it was headed in the severe accident and where  
12 it was heading on safety goals. It was not an easy  
13 decision for the Commission because they had a  
14 congressional mandate to proceed, although that  
15 expired I guess after one year.

16 But the thing that I would urge is as we  
17 do these things that you suggested, that we very  
18 carefully consider it from the standpoint of today's  
19 risk perspectives, the fact that we have a safety  
20 goal, that we have come a long way in severe accidents  
21 and so forth and strive to make things consistent and  
22 hopefully have an explanation when we pick out a  
23 number and strive for consistency in what we do. I  
24 think you have a unique opportunity here. I'm not  
25 saying you might not develop some problems in doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that, but I think we should face up to those.

2 But in summary, I'm very pleased with the  
3 area -- or what you've done with this paper. I think  
4 it's come a long way from the proposed rule. I think  
5 I understand it. I sometimes say I wish I understand  
6 everything I know about it. But certainly the  
7 briefing has been very helpful and the paper was very  
8 helpful and I might need some additional follow-up  
9 briefings as time goes on to get a better  
10 understanding.

11 Thank you very much.

12 CHAIRMAN SELIN: Actually, I'd like to  
13 thank Commissioner Remick for -- we all have the same  
14 concerns. He was better able to articulate the  
15 questions that would illuminate those. So, thank you.

16 Commissioner de Planque?

17 COMMISSIONER de PLANQUE: Well, I too  
18 would also like to commend you on the SECY. I think  
19 it was very well done and the options are very well  
20 thought out and explained.

21 I'd also like to reinforce the notion of  
22 thinking ahead about what you're going to put in the  
23 reg. guides and have the similar concerns that have  
24 been already expressed about putting population  
25 densities in there, especially as they refer to times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 in the future. This is something that's extremely  
2 hard to predict today, especially in light of possible  
3 time periods of more than 40 years for a plant.

4 I'd like to ask you what's your intention?  
5 What are you going to do next?

6 MR. TAYLOR: We would -- having gotten  
7 direction from the Commission based upon this paper,  
8 we'll try to go back and put the rule package  
9 together. We estimate that if we got action in the  
10 next two weeks that we could probably have a package  
11 ready for the Commission approval by about the end of  
12 May.

13 COMMISSIONER de PLANQUE: Is your thinking  
14 for another round of public comments or not?

15 MR. TAYLOR: We have had discussions with  
16 the Office of General Counsel on that subject and I'll  
17 defer to him on that.

18 CHAIRMAN SELIN: Well, let me just tell  
19 you. I think you ought to go out for further comment,  
20 not because of legal grounds but because of policy  
21 grounds. Number one, the real time pressure has let  
22 up considerably given the lack of activity and  
23 whatever that advanced siting program is called for.  
24 Number two, this is quite different from the last  
25 thing that went out and I think it's good policy when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 such major changes are brought together that public  
2 comment is called for.

3 MR. TAYLOR: There's no pressing need to -  
4 -

5 CHAIRMAN SELIN: Whether the General  
6 Counsel believes it's required or not, I think it's  
7 just good solid policy at this point, my own view.

8 COMMISSIONER de PLANQUE: I would agree  
9 with that.

10 That's all I have. Thank you.

11 CHAIRMAN SELIN: Okay. I'd like to add my  
12 commendations. I'm quite enthusiastic about this  
13 paper and the approach. I really have three comments.  
14 Number one is there's some sense that one looks at  
15 these different criteria and tries to pick among the  
16 available sites those that most nearly meet most of  
17 the criteria, this sort of as good as reasonably  
18 achievable I think should be --

19 And second is I'd like to, in addition to  
20 attach myself to Commissioner Remick and Commissioner  
21 Rogers' comments, specifically expand a little bit on  
22 something Commissioner de Planque said. I think it  
23 would be very helpful if you sketched out the kind of  
24 things that would be in the reg. guide, or at least  
25 discuss how much of the reg. guide should be pre --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER de PLANQUE: Determined.

2 CHAIRMAN SELIN: Yes, tipped off. I was  
3 trying to think of a nice word for tipped off, before  
4 we're asked to move on the rule. It's like giving us  
5 a contract with everything but the numbers filled in  
6 and asking us to sign. So, some rough idea about what  
7 you'd see in exclusion area zones in most cases, how  
8 you would handle the population densities, a few of  
9 these other points I really do think should be  
10 sketched out. Knowing that those will have less  
11 permanence than the rule, that will change as, as  
12 Commissioner Remick points out, as risk pieces come  
13 up.

14 And then the third is I feel quite  
15 strongly that the package as put together, at least  
16 the non-seismic part of the package, should be --  
17 probably the whole package, but certainly the non-  
18 seismic part should be issued for a reasonably prompt  
19 but not accelerated comment once it's put together.  
20 I think it's really an absolutely first rate job. You  
21 achieved a reputation for brilliance with your past  
22 document and now for honesty in recanting it.

23 Thank you very much.

24 (Whereupon, at 11:26 a.m., the above-  
25 entitled matter was concluded.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting  
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING ON PROPOSED CHANGES TO PART 100

PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: MARCH 1, 1994

were transcribed by me. I further certify that said transcription  
is accurate and complete, to the best of my ability, and that the  
transcript is a true and accurate record of the foregoing events.

Carol Lynch

Reporter's name: PETER LYNCH

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

**COMMISSION BRIEFING**  
**ON**  
**OPTIONS FOR REVISING 10 CFR PART 100**  
**REACTOR SITE CRITERIA**

**THEMIS P. SPEIS**  
**LEONARD SOFFER**  
**ANDREW J. MURPHY**  
**OFFICE OF NUCLEAR REGULATORY RESEARCH**  
**U.S. NUCLEAR REGULATORY COMMISSION**

**MARCH 1, 1994**

## **OUTLINE OF PRESENTATION**

- o BACKGROUND**
- o STAFF EVALUATION OF PROPOSED RULE**
- o REASONS FOR PROCEEDING WITH SITING RULEMAKING**
- o OPTIONS CONSIDERED**
  - NON-SEISMIC**
  - SEISMIC**
- o RECOMMENDATIONS**



## **BACKGROUND**

### **PRESENT RULE (1962)**

- o FISSION PRODUCT RELEASE (TID-14844) POSTULATED INTO CONTAINMENT. DOSES EVALUATED AT EXCLUSION AREA BOUNDARY (EAB) AND LOW POPULATION ZONE (LPZ) OUTER RADIUS.**
- o PART 100 COUPLES PLANT DESIGN AND SITE CLOSELY AND HAS NO NUMERIC CRITERIA FOR SIZES OF EAB AND LPZ.**
- o REG. GUIDE 4.7 (1975) PROVIDES GUIDANCE ON EAB SIZE AND POPULATION DENSITY WITHIN 30 MILES FROM THE REACTOR.**

### **RECOMMENDATIONS ON REACTOR SITING**

- o SITING POLICY TASK FORCE (1979)**
- o KEMENY COMMISSION REPORT (1979)**
- o 1980 NRC AUTHORIZATION ACT**

**BACKGROUND**  
**(CONTINUED)**

**ADVANCE NOTICE OF PROPOSED RULEMAKING (ANPR) (1980)**

- o ANPR ON REACTOR SITING ISSUED IN 1980.
- o ANPR WITHDRAWN IN 1981 TO AWAIT DEVELOPMENT OF SAFETY GOAL AND IMPROVED UNDERSTANDING OF SEVERE ACCIDENT SOURCE TERMS.

**PROPOSED RULE (OCT. 1992)**

- o SOURCE TERMS AND DOSE CRITERIA TO BE DELETED FOR SITE EVALUATION.
- o PROPOSED MINIMUM EXCLUSION AREA SIZE OF 0.4 MILES AND MAX. POPULATION DENSITY CRITERIA OF 500 PERSONS PER SQUARE MILE OUT TO 30 MILES.
- o PHYSICAL CHARACTERISTICS THAT COULD POSE SIGNIFICANT IMPEDIMENT TO DEVELOPMENT OF EMERGENCY PLANS TO BE IDENTIFIED.
- o EVALUATION OF MAN-RELATED HAZARDS REQUIRED.

## **STAFF EVALUATION OF PROPOSED RULE**

- o EXTENSIVE COMMENTS RECEIVED ON PROPOSED RULE.**
- o MAJOR NON-SEISMIC COMMENT WAS THAT SOURCE TERMS AND DOSE CALCULATIONS SHOULD BE RETAINED FOR SITING.**
  - INDUSTRY AND INTERNATIONAL GROUPS FELT THAT THE RULE WAS OVERLY CONSERVATIVE, TOO PRESCRIPTIVE AND RIGID, NOT AMENABLE TO DIFFERENT REACTOR DESIGNS, INCOMPATIBLE WITH CONCERNS OF INTERNATIONAL COMMUNITY.**
  - PUBLIC INTEREST GROUPS FELT THAT SITING CRITERIA SHOULD BE MADE MORE RESTRICTIVE.**
- o SEISMIC COMMENTS CENTERED ON RELATIVE ROLE OF PROBABILISTIC VS. DETERMINISTIC ASSESSMENTS.**
- o STAFF HAS RECONSIDERED PROPOSED RULE. RECOMMENDS THAT NON-SEISMIC PART OF PROPOSED RULE NOT BE ADOPTED, BUT THAT A SITING RULEMAKING SHOULD GO FORWARD.**

## **REASONS FOR PROCEEDING WITH SITING RULEMAKING**

- o TO INCORPORATE EXPERIENCE, RESEARCH AND TECHNOLOGY ADVANCEMENTS, PARTICULARLY IN THE GEOSCIENCES, SINCE THE PRESENT REGULATION.**
- o TO ALLOW CONSIDERATION OF SEVERE ACCIDENT INSIGHTS IN THE DESIGN OF NEXT-GENERATION PLANTS SEPARATELY FROM SITE ACCEPTABILITY ISSUES.**
- o TO STRENGTHEN SITING OF FUTURE REACTORS AS PART OF NRCs DEFENSE-IN-DEPTH, AS RECOMMENDED BY INDEPENDENT GROUPS.**

## **NON-SEISMIC OPTIONS**

- 1. WITHDRAW PROPOSED RULE. RETAIN PRESENT RULE.**
- 2. ISSUE PROPOSED RULE AS IS.**
- 3. SPECIFY REDUCED MINIMUM EAB IN RULE; SPECIFY POPULATION DENSITY IN A REGULATORY GUIDE.**
- 4. STATE BASIC SITE CRITERIA IN PART 100, WITH NUMERICAL VALUES TO BE IN REGULATORY GUIDES. RELOCATE DOSE CALCULATIONS TO PART 50.**
- 5. RETAIN PRESENT RULE BUT USE WITH UPDATED SOURCE TERMS.**

**RETAIN PRESENT RULE**  
**(OPTION 1)**

**SUMMARY:      WITHDRAW PROPOSED RULE. RETAIN PRESENT PART 100 AS IS.**

**PROS:**

**FAMILIAR, PROVIDES FLEXIBILITY TO ACCOMMODATE DIFFERENT DESIGNS.**

**CONS:**

**REFERENCES OUTMODED SOURCE TERM, IS NOT ACTUALLY A SITING REGULATION SINCE IT PERMITS A HIGH DEGREE OF PLANT DESIGN AND SITE TRADEOFFS, CONTRARY TO STANDARDIZATION POLICY, DOES NOT INCLUDE SECURITY CONSIDERATIONS, DOES NOT ADDRESS RECOMMENDATIONS OF GROUPS SUCH AS THE KEMENY COMMISSION.**

**ISSUE PROPOSED RULE AS FINAL**  
**(OPTION 2)**

**SUMMARY:      ISSUE PROPOSED RULE (OCT. 1992) IN FINAL FORM**

**PROS:**

**REDUCTION OF SOME ADMINISTRATIVE HEARING LITIGATION ISSUES**

**CONS:**

**HIGHLY PRESCRIPTIVE AND RIGID RULE. STRONG OBJECTIONS ACROSS A BROAD SPECTRUM, INCLUDING INDUSTRY, PUBLIC AND INTERNATIONAL COMMUNITY.**

**FIXED EAB IN RULE. POPULATION DENSITY IN GUIDE**  
**(OPTION 3)**

**SUMMARY:** SPECIFY A FIXED EAB IN THE RULE. POPULATION DENSITY VALUES TO BE IN A REGULATORY GUIDE.

**PROS:**

PROVIDES BETTER BASIS FOR EXCLUSION AREA SIZE BASED ON UPDATED SOURCE TERM. REDUCED LITIGATION AND INTERNATIONAL CONCERNS.

**CONS:**

ELIMINATES FLEXIBILITY FOR DIFFERENT REACTOR DESIGNS. FIXED EAB WOULD NOT ELIMINATE INTERNATIONAL CONCERNS.



**STATE SITE CRITERIA IN PART 100. DOSE CRITERIA TO PART 50**  
**(OPTION 4)**

**SUMMARY:** STATE BASIC SITE CRITERIA IN PART 100. RELOCATE DOSE CRITERIA TO PART 50 FOR PLANT DESIGN PURPOSES, USING UPDATED SOURCE TERM.

**PROS:**

RETAINS DOSE CALCULATIONS, BUT USES THESE FOR PLANT DESIGN. HAS FLEXIBILITY TO ACCOMMODATE DIFFERENT DESIGNS. WOULD UTILIZE UPDATED SOURCE TERMS. WOULD STRENGTHEN THE ROLE OF SITING.

**CONS:**

WOULD CONTINUE LIKELIHOOD OF ADMINISTRATIVE HEARING LITIGATION.

## **PROPOSED BASIC REACTOR SITE CRITERIA**

- o SITE ATMOSPHERIC DISPERSION CHARACTERISTICS MUST BE EVALUATED AND PLANT INTERFACE CRITERIA ESTABLISHED SUCH THAT:**
  - RADIOLOGICAL DOSES FOR NORMAL OPERATION WILL BE MET, AND**
  - RADIOLOGICAL CONSEQUENCES OF POSTULATED ACCIDENTS TO A HYPOTHETICAL INDIVIDUAL AT THE EAB WILL BE ACCEPTABLE.**
- o PHYSICAL CHARACTERISTICS OF THE SITE MUST BE EVALUATED AND PLANT INTERFACE CRITERIA ESTABLISHED SUCH THAT THESE POSE NO UNDUE RISK TO THE PLANT.**
- o MAN-RELATED ACTIVITIES IN THE SITE VICINITY MUST BE EVALUATED AND PLANT INTERFACE CRITERIA ESTABLISHED SUCH THAT THESE POSE NO UNDUE RISK TO THE PLANT.**
- o SITE CHARACTERISTICS MUST BE SUCH THAT**
  - ADEQUATE SECURITY PLANS AND MEASURES CAN BE DEVELOPED, AND**
  - ADEQUATE EMERGENCY PLANS CAN BE DEVELOPED.**
- o REACTOR SITES MUST BE LOCATED AWAY FROM DENSELY POPULATED CENTERS.**

**RETAIN PRESENT RULE, WITH UPDATED SOURCE TERM**  
**(OPTION 5)**

**SUMMARY:**      **RETAIN PRESENT RULE AND DOSE CALCULATIONS FOR SITING,  
BUT USE UPDATED SOURCE TERM RATHER THAN TID-14844.**

**PROS:**

**FLEXIBILITY TO ACCOMMODATE DIFFERENT DESIGNS.   UTILIZES UPDATED  
SOURCE TERM.**

**CONS:**

**RETAINS PRESENT LEVEL OF PLANT DESIGN AND SITE TRADEOFFS; THEREFORE  
NOT A SITING REGULATION.**

## **NON-SEISMIC RECOMMENDATION**

- o DO NOT ADOPT PROPOSED RULE ISSUED FOR COMMENT IN OCTOBER 1992.**
  
- o REVISE PART 100 TO INCORPORATE BASIC SITING CRITERIA, INCLUDING THE REQUIREMENT THAT REACTORS BE SITED "AWAY FROM" DENSELY POPULATED CENTERS, BUT WITHOUT NUMERICAL CRITERIA IN THE RULE ITSELF. NUMERICAL VALUES WOULD BE STATED IN REGULATORY GUIDES. RELOCATE SOURCE TERM AND DOSE CALCULATIONS, INCLUDING UPDATED SOURCE TERM INSIGHTS, TO PART 50 TO BE USED FOR PLANT DESIGN PURPOSES. (OPTION 4).**

**SEISMIC ASPECTS**  
**(BACKGROUND)**

**RULE AS PUBLISHED FOR PUBLIC COMMENT**

**A "DUAL" APPROACH GIVING EQUAL WEIGHTS TO BOTH PROBABILISTIC AND DETERMINISTIC ASSESSMENTS.**

## **SEISMIC COMMENTS**

- GENERAL -     EQUAL WEIGHTING WOULD BE DIFFICULT, IF NOT IMPOSSIBLE.**
- SITE-SPECIFIC INVESTIGATIONS ARE VERY IMPORTANT.**

### **DOMESTIC-**

- DIVERGENT COMMENTS ON ROLE OF PROBABILISTIC AND DETERMINISTIC ASSESSMENTS**
- NUMARC/EPRI RECOMMENDED AN INTEGRATED PROBABILISTIC & DETERMINISTIC APPROACH WITH EMPHASIS ON PROBABILISTIC**
- U.S. GEOLOGICAL SURVEY RECOMMENDED THAT THE PROBABILISTIC RESULTS BE CHECKED AGAINST A SIMPLIFIED DETERMINISTIC ANALYSIS**

**SEISMIC COMMENTS**  
**(CONTINUED)**

**INTERNATIONAL**

- **JAPANESE, FRENCH, TAIWANESE AND CANADIAN UTILITIES QUESTIONED MATURITY OF PROBABILISTIC ANALYSIS**
- **OTHERS (CANADA, ISRAEL, ITALY, KOREA, AND SCOTLAND) PROVIDED MIXED COMMENTS ON PROBABILISTIC ANALYSIS AND DETERMINISTIC DEFINITIONS**

## **SEISMIC RECOMMENDATION**

**STAFF RECOMMENDS A PROBABILISTIC APPROACH WITH SOME PARAMETERS ESTABLISHED DETERMINISTICALLY. THIS APPROACH IS TO BE DESCRIBED IN REGULATORY GUIDES AND STANDARD REVIEW PLAN SECTIONS; WAS DEVELOPED FOLLOWING DISCUSSIONS WITH U.S. GEOLOGICAL SURVEY.**

**SEISMIC OPTIONS CONTAINED IN SECY-94-017 CONCERN THE FORMAT OF THE RULE RATHER THAN THE TECHNICAL CONTENT.**



## RULE FORMATS EXAMINED

- o STAFF EXAMINED TWO POSSIBLE FORMATS FOR THE RULE ITSELF--
  - MAINTAIN SEPARATE APPENDIX B\*.
  - ELIMINATE APPENDIX B\* INCORPORATE BASIC REQUIREMENTS INTO PART 100.
- o STAFF RECOMMENDS ELIMINATING APPENDIX B AND PROCEEDING WITH COMMENT RESOLUTION AND PREPARATION OF FINAL RULE AND RELATED GUIDES.

\* STREAMLINE REQUIREMENT LANGUAGE IN PART 100 OR APPENDIX B

## **STAFF RECOMMENDATIONS**

- o DO NOT ADOPT NON-SEISMIC PROVISIONS OF PROPOSED RULE ISSUED FOR COMMENT IN OCTOBER 1992.**
  
- o REVISE PART 100 TO INCORPORATE BASIC SITING CRITERIA, (OPTION 4) INCLUDING REQUIREMENT THAT REACTORS BE SITED "AWAY FROM" DENSELY POPULATED CENTERS. HOWEVER, NUMERICAL CRITERIA WOULD BE IN REGULATORY GUIDES. RELOCATE UPDATED SOURCE TERM AND DOSE CALCULATIONS TO PART 50 FOR PLANT DESIGN.**
  
- o WITHDRAW PROPOSED APPENDIX B TO PART 100; STREAMLINE CONTENT OF SEISMIC PORTION OF PART 100 (INCORPORATE GUIDANCE INTO REGULATORY GUIDES), AND PROCEED WITH COMMENT RESOLUTION AND PREPARATION OF FINAL RULE.**



January 26, 1994

## **RULEMAKING ISSUE** (Notation Vote)

SECY-94-017

**FOR:** The Commissioners

**FROM:** James M. Taylor  
Executive Director for Operations

**SUBJECT:** OPTIONS WITH REGARD TO REVISING 10 CFR  
PART 100, REACTOR SITE CRITERIA

**PURPOSE:**

To provide the information requested by the Commission in the staff requirements memorandum (SRM) dated August 12, 1993, and to discuss options with regard to revising 10 CFR Part 100, Reactor Site Criteria and Appendix A, Seismic and Geologic Siting Criteria for Nuclear Power Plants.

**SUMMARY:**

This paper encloses responses to the request for information by the Commission in its SRM of August 12, 1993, and presents and discusses a number of options with regard to revising site criteria for future reactors. Three recommendations are provided: (1) that the non-seismic provisions of the proposed revision of 10 CFR Part 100, issued for comment on October 20, 1992, be withdrawn; (2) that Part 50 be revised to use updated source term and dose calculations for evaluating plant design, and that Part 100 be revised to emphasize siting aspects by including basic site criteria including a requirement that reactors be located "away from" densely populated centers (without specifying numerical criteria); and (3) that the proposed revision of Part 100 regarding the seismic provisions be streamlined and be permitted to continue through the NRC regulatory review process. An analysis of the public comments received on the proposed revisions is also enclosed.

**NOTE:** TO BE MADE PUBLICLY AVAILABLE  
WHEN THE FINAL SRM IS MADE  
AVAILABLE

**Contact:**  
Leonard Soffer, RES  
492-3916

**Dr. Andrew J. Murphy, RES**  
492-3860

**BACKGROUND:**

On April 12, 1962, the Atomic Energy Commission (AEC) issued 10 CFR Part 100, "Reactor Site Criteria" (27 FR 3509). Except for certain revisions to the geosciences provisions, Part 100 has remained essentially unchanged. In the statement of considerations accompanying the rule, the Commission noted that these:

... are intended to reflect past practice and current policy of the Commission of keeping stationary power and test reactors away from densely populated centers.

From 1962 to the mid-1970s, as construction permit applications were under review, it became clear that except for guidance on the nearest population center, Part 100 provided no effective guidance on siting nuclear power plants near major metropolitan centers. With the issuance of Regulatory Guide 4.7 in 1975, the staff defined numerical values to be used in its review.

In August 1978, the Commission directed the staff to develop a general policy statement on nuclear power reactor siting. The major recommendation of that effort, "Report of the Siting Policy Task Force," NUREG-0625, was that siting criteria should be developed:

to strengthen siting as a factor in defense-in-depth by establishing requirements for site approval that are independent of plant design consideration. The present policy of permitting plant design features to compensate for unfavorable site characteristics has resulted in improved designs but has tended to deemphasize site isolation.

In the October 30, 1979, "Report of the President's Commission on the Accident at Three Mile Island" or the Kemeny Report, the Kemeny Commission recommended unanimously that:

In order to provide an added contribution to safety, the agency [NRC] should be required, to the maximum extent feasible, to locate new power plants in areas remote from concentrations of population. Siting determinations should be based on technical assessments of various classes of accidents that can take place, including those involving releases of low doses of radiation.

The Congress, in NRC's 1980 Authorization Act, PL 96-295, enacted on June 30, 1980, also stated that:

... the Nuclear Regulatory Commission is authorized and directed to use such sums [authorized by that Act] as may be necessary to develop and promulgate regulations establishing demographic requirements for the siting of utilization facilities.

The 1980 Authorization Act also included details about what such regulations should include.

Subsequently, on July 29, 1980, the NRC issued an advance notice of proposed rulemaking (ANPRM) (45 FR 50350) regarding the revision of reactor siting criteria that focussed on the non-seismic provisions of the rule; separately, the NRC issued an ANPRM on seismic issues (43 FR 2729) on January 19, 1978. The non-seismic ANPRM highlighted the following issues that are still relevant today:

- the practice to tradeoff unfavorable site characteristics by enhancing design safety features;
- the importance for continued improvement in reactor designs to reduce risk to the public as a complement to site isolation;
- the de-emphasis of site isolation as an independent safety feature by relying on dose assessment as the dominant measure of site suitability;
- the interrelationship between site safety reviews and alternative site environmental considerations under the National Environmental Policy Act (NEPA) before a site is acceptable; and
- the national and international perspectives regarding NRC siting criteria.

In December 1981, the Commission deferred the proposed rulemaking to await development of the Safety Goals and the resolution of research on accident source terms<sup>1</sup>. On August 4, 1986, the Policy Statement on Safety Goals was issued (51 FR 23044).

In SECY-90-341, "Staff Study on Source Term Update and Decoupling Siting From Design," dated October 4, 1990, the staff proposed that reactor siting be decoupled from plant design. As noted in that report:

Decoupling light water reactor (LWR) siting from plant design was suggested by the staff because of the potential benefits which could be realized by such an approach. Specifically, decoupling would replace existing siting dose calculation requirements (which traditionally have affected plant design more than siting) with explicit requirements more directly related to acceptable site characteristics. This would be accomplished by a significant change to 10 CFR 100 and its related guidance documents. A corresponding change to 10 CFR 50 would be required to regulate aspects of plant design now controlled by siting dose calculation requirements.

---

<sup>1</sup> The legal delegation to issue new siting regulations was tied to the NRC use of FY-1980 funds and expired as a legal matter at the end of FY 1980.

In SECY-92-215, "Revision of 10 CFR Part 100, Revisions to 10 CFR Part 50, New Appendix B to 10 CFR Part 100 and New Appendix S to 10 CFR Part 50," the staff presented a proposed rule to revise Part 100 and outlined in detail the historical perspective and rationale for the proposed change to reactor siting criteria. The proposed rule change combined two separate initiatives dealing with non-seismic and seismic issues. The proposed rule was published for comment on October 20, 1992 (57 FR 47802), and the comment period, extended twice, expired on June 1, 1993.

Extensive comments, both domestic and international, were received. During the August 3, 1993, periodic briefing on the status of the new source term and related issues, the staff briefed the Commission on the status of the proposed rule and nature of the comments received. In an SRM dated August 12, 1993, the Commission raised several concerns regarding the prescriptive aspects of the proposed revisions to Part 100 as well as the form and content of the proposed rule issued for comment. The Commission identified nine issues and requested that any further staff considerations for proposed revisions to Part 100 and the proposed update of the source term address the specific issues. The staff provides a detailed response to each issue of the SRM in Enclosure 1. The staff considered these issues in developing the options for revising 10 CFR Part 100 which follow. Summaries and preliminary analyses of the public comments received regarding the non-seismic and seismic aspects are attached in Enclosures 2 and 3, respectively.

#### DISCUSSION:

As discussed above, the non-seismic provisions of NRC's site criteria have remained essentially unchanged since issuance in 1962. A number of groups have examined NRC's reactor siting policy, and have recommended changes to strengthen siting. These have included a staff effort (Siting Policy Task Force) in 1979, the Kemeny Commission investigating the accident at Three Mile Island that same year, and the Congress, in NRC's 1980 authorization act.

In response, the NRC issued advance notices of proposed rulemaking (ANPRM) in 1978 and 1980 regarding revision of the seismic and non-seismic criteria, respectively, but deferred the proposed rulemaking in 1981 to await development of the Safety Goals and resolution of research on accident source terms. In SECY-90-341, the staff proposed that reactor siting be decoupled from design, and in SECY-92-215, the staff presented a proposed rule to revise both seismic and non-seismic provisions of Part 100. The proposed rule was published for comment on October 20, 1992, and the comment period expired on June 1, 1993.

The extensive comments received have required the staff to re-examine its thinking in regard to the proposed rule. The staff continues to believe that NRC's site criteria should be clarified to reflect actual NRC policy with regard to siting reactors near major metropolitan centers.

A number of options in regard to revising Part 100 are examined in the discussion below. The staff recommends one that it believes will carry out the fundamental recommendation made by others in regard to improving reactor siting, while also reflecting the comments received on the proposed rule.

Proposed Rule Change:

Part 100 provides reactor siting criteria for protecting public health and safety. The present rule closely couples the reactor design and the site through the use of source term and dose calculations. The purposes for the current rulemaking effort are:

- to incorporate experience, research and technological advancements in areas covered by the existing regulations, including the significant advances in geoscience methods that have evolved since the mid-1970s;
- to allow consideration of severe accident research insights in the design of next-generation plants separately from site acceptability issues (decoupling); and
- to strengthen siting of future reactors as part of the NRC's defense-in-depth, as recommended by independent groups such as the Kemeny Commission.

The discussion that follows briefly notes the staff's current licensing activities under Part 52, particularly the design certification process, and the relationship of these activities to reactor siting. The relationship of site safety issues considered in Part 100 compared with site environmental issues considered in Part 51 is next discussed. A discussion of several options, both non-seismic and seismic, with regard to the revision of Part 100 concludes the paper.

Relationship to Current Licensing Activities Under Part 52

Although a revision to Part 100 is not required to implement the licensing process in Part 52, several options discussed later will be more in line with the Part 52 process. The design certification portion of Part 52 permits resolution of plant design issues separately from siting, while the early site permit portion permits resolution of siting issues separately from plant design. A combined license applicant may reference either certified designs or early site permits or both.

A design certification (DC) applicant must propose criteria for a variety of bounding site parameters used in the standard design. This includes design basis tornado wind loads, seismic loads, flooding, as well as bounding site parameters for adverse atmospheric relative dilution conditions ( $\chi/Q$ ). The bounding site atmospheric dilution parameters must be chosen so that the radiological consequences of postulated design basis accidents will meet the dose values of Part 100. DC applicants are not required to use the TID-14844 source term and may use an updated source term, provided that it is approved by the staff. No specific distance is set for the exclusion area boundary in the design certification review; rather it will be determined at the combined license stage when the actual site atmospheric dilution data is reconciled with the proposed bounding site parameters. Therefore, designs are certified based upon postulated site parameters rather than specific site reviews. At

the combined license stage, an applicant would demonstrate that the postulated site parameters envelop the actual site characteristics.

Similarly, an early site permit (ESP) applicant would postulate bounding plant design parameters to assess potential consequences and environmental impacts from the construction and operation of the plant. ESP applicants propose plant design features and operating characteristics for water use, thermal and radiological effluents, etc. for the plant. Additionally, requirements for the assessment of habitats, and physical and land use characteristics in the preferred and alternative site vicinities are needed to complete the environmental, site safety, and emergency preparedness reviews. The bounding design parameters would establish part of the bases for issuing an early site permit. A combined license applicant would need to demonstrate that the actual design falls within the bounding parameters assumed in the early site permit.

#### Relationship to Environmental Issues Under Part 51

In addition to public health and safety issues which must be considered under the Atomic Energy Act, the NRC must also consider environmental protection issues under the National Environmental Policy Act (NEPA). The regulations for environmental protection are contained in Part 51. The fundamental requirement of NEPA is to consider the alternatives before taking a major Federal action. For reactor siting, this requires consideration of alternative sites based upon consideration of severe accident consequences to the population surrounding the proposed site and alternative sites, as well as of environmental effects of constructing and operating a plant on the proposed site and alternative sites.

Currently, the Commission uses a two-stage decision standard to assure that adequate consideration has been given to alternative sites for nuclear power plants. The first part of this standard requires that the applicant submit a slate of alternative sites which are "among the best that could reasonably be found" inside a region in which it is reasonable to construct a plant to meet the projected need for power. The second part of the standard requires that the proposed site be approved only if no obviously superior alternative site has been identified.

Consequently, an applicant satisfying the safety criteria of Part 100 is not guaranteed issuance of a construction permit, and must also demonstrate under Part 51 that there is no obviously superior site.

#### Options with Regard to the Part 100 Rule Change

In this paper, the seismic provisions of the proposed rule are discussed separately from the non-seismic provisions. One option for each area would need to be pursued; they do not depend on each other to proceed.

#### Non-Seismic Provisions

The staff has examined a number of options in regard to the non-seismic provisions of Part 100 and has evaluated them considering the factors provided



in the Commission's SRM. Based on the highly prescriptive form of the proposed rule, together with the large number of adverse comments received, the staff no longer recommends this approach. Hence, the staff recommends that the non-seismic portion of the proposed Part 100 rule be withdrawn. In its stead, the staff believes that Option 4, discussed below, would permit implementing recent severe accident research insights towards plant design, and by stating basic reactor siting criteria in the rule, would provide a performance based standard for reactor siting that would provide a rational and understandable basis for siting to the public, provide clear guidance to the industry, and would not be incompatible with the needs and conditions of the international community. For these reasons, the staff recommends Option 4. Several alternative options are also discussed.

**Option 1. Withdraw the proposed rule change. Retain present rule.**

This option would withdraw the proposed rule issued for comment on October 20, 1992 and would retain the present rule and regulatory guidance (i.e., continued use of TID-14844 and Regulatory Guide 4.7). The arguments favoring this option are that it is (1) familiar, and (2) provides flexibility to accommodate different designs. Retention of this option could also accommodate concerns of potential users in other countries, primarily because no numerical criteria for exclusion area size or population density appear in the rule itself.

There are a number of major arguments against this option, however. These are (1) it references an outmoded source term, inconsistent with recent severe accident research and inconsistent with that being implemented for advanced plants, (2) it utilizes an approach to seismic considerations that is out of date, and (3) it is not truly a siting regulation in that it continues to allow unlimited plant design and siting tradeoffs that are in fact discouraged by Standardization Policy, does not include items such as security within the scope of siting criteria (see Enclosure 6), and does not address the recommendations of such groups as the Kemeny Commission.

**Option 2. Issue the proposed rule with numerical criteria for the EAB and population density.**

This option would issue the rule issued for comment on October 20, 1992 as a final rule. This rule would specify a minimum distance to the exclusion area boundary of 0.4 miles and would specify population density values in the regulation. Source term and dose calculations would be relocated to Part 50 to be used in design of plant systems, including mitigation systems, control room habitability and equipment qualification.

The major argument favoring this option is that some administrative hearing litigation of site related issues would be significantly reduced and regulatory predictability somewhat enhanced once the rule were issued.

The major argument against this option is that it is highly prescriptive and rigid and has raised strong objections across a broad spectrum including the industry, environmental and public interest groups, and the international community.

**Option 3. Specify a minimum EAB distance (e.g., 0.25 miles) in the rule.**  
**Specify population density in a regulatory guide.**

This option would eliminate use of source terms and dose calculations in the determination of exclusion area distance, as in the proposed rule, and would specify an alternate value (0.25 miles rather than 0.4 miles) that is more in keeping with revised source term insights together with a realistic evaluation of engineered safety features. Population density values would not be in the rule, but would be stated in Regulatory Guide 4.7. Dose calculations would be relocated to Part 50 for plant design purposes, as in the proposed rule.

The arguments in favor of this option are that (1) it would provide a better technical basis for exclusion area size since it would be based upon a more realistic understanding of source terms and fission product removal systems, (2) it would reduce litigation and enhance regulatory stability, once adopted, and (3) it would lower, although not eliminate, concerns of potential users in other countries.

The arguments against this option are that it would eliminate flexibility for different reactor designs, and that some international concerns would remain since a numerical value for the minimum exclusion area distance would be stated in the rule.

**Option 4. Relocate dose calculations to Part 50. State basic site criteria in Part 100, with numerical values to be provided in regulatory guide(s).**

This option would relocate source term and dose calculations from Part 100 to Part 50 to more clearly demonstrate their role in affecting plant design rather than in determining site acceptability. This option would also revise Part 100 to strengthen reactor siting by stating basic site criteria (Enclosure 6) in Part 100. One of these criteria would require that nuclear power plants be sited "away from" densely populated centers as part of the NRC's defense-in-depth philosophy. However, numerical values for exclusion area size and population density would be contained in regulatory guides. This option would also delete reference to the TID-14844 source term and would be compatible with use of an updated source term. This option would likely require consideration of the impact of revised accident timing and additional nuclides other than iodine and the noble gases, and would also entail revising Regulatory Guides 1.3 and 1.4, or development of additional guides.

The arguments favoring this option are that it (1) retains the use of source term and dose calculations, which is familiar and which communicates an important risk parameter of reactor licensing, but clarifies that these play a more important role in plant design rather than siting, (2) provides flexibility to accommodate different designs, (3) would utilize updated accident source terms, (4) incorporates the advances made in the geosciences, and (5) would strengthen the role of siting, in accordance with recommendations by groups such as the Kemeny Commission. Because numerical criteria would not be in the rule, this option is also compatible with the needs and conditions of the international community.

The argument against this option is that there would be some decrease in predictability since there would be an increase in administrative hearing litigation until there is sufficient experience with the use of terminology such as "away from" and "densely." However, this difficulty should be no greater than the difficulty of administrative hearing litigation over severe accidents in the NEPA alternative site review. In effect, use of terminology like "away from" and "densely" puts off essential population risk considerations until later case-by-case reviews.

**Option 5. Retain present rule but use with updated source term.**

This option would retain use of source terms and dose calculations for the determination of exclusion area and low population zone outer radius size in Part 100. Population density values would be stated in Regulatory Guide 4.7. This option would also use an updated source term, and would likely require consideration of the impact of revised accident timing and additional nuclides other than iodine and the noble gases, and would entail revising Regulatory Guides 1.3 and 1.4, or development of additional guides.

The arguments favoring this option are that it would (1) be flexible, (2) would use consistent accident source terms for both reactor siting and design, and (3) would incorporate improvements in the geosciences.

The major argument against this option, however, is that it retains the present level of plant design and site tradeoffs, and consequently, does not represent a siting regulation.

**Seismic Provisions**

The staff has considered the following options for revising Part 100 and has evaluated them using the factors provided in the Commission's SRM. On the basis of the comments received and the convergence of positions among the NRC, other federal agencies and industry representatives, the staff recommends that the proposed revision proceed through the normal NRC review procedure toward the final rulemaking. Significant progress has been made in consensus building for the hybrid approach within the staff, the utility industry, as represented by NUMARC, and the U.S. Geological Survey. A rulemaking package developed along the lines of the hybrid approach will address and resolve the principal comments except those from the few commenters diametrically opposed to any use of probabilistic hazard assessments.

The staff further recommends that rather than retaining a separate Appendix B as contained in the proposed rule (Option 1 below), the final rule integrate basic seismic requirements in the main body of Part 100 (Option 2). Both options would maintain detailed guidance material in the regulatory guides.

**Option 1 Proceed with Resolution of Comments, Maintain Separate Appendix B**

This option would revise the proposed rule in response to public comments along the lines of the hybrid approach outlined to the Commission on August 3, 1993. In this option, a separate Appendix B outlining seismic requirements will be maintained.

Maintaining a separate Appendix B will retain a parallelism with the current regulation with some emphasis on the risk significance of the seismic hazard.

The argument against this option is that the NRC is treating seismic hazards significantly different from the other natural hazards by calling out specific "required" investigations in the rule as opposed to in regulatory guides as was done for the other natural hazards, meteorology, hydrology, flooding, etc.

#### **Option 2     Incorporate Basic Streamlined Seismic Requirements in Part 100**

This option is similar to Option 1 in that the rulemaking package would be revised in response to public comments along the lines of the hybrid approach. In addition, the staff would withdraw Appendix B and would significantly streamline seismic requirements in Part 100. The technical issues and guidance contained in Appendix B in the proposed rulemaking package would be incorporated into regulatory guides.

The staff recommends adoption of seismic Option 2. The staff believes that a streamlined version of the rule coupled with the development of new regulatory guidance will provide the proper level of details in the regulation.

#### **RECOMMENDATIONS:**

##### **Non-Seismic Recommendation:**

Because of its highly prescriptive and inflexible form which has raised concerns across a broad spectrum including members of the public, the industry, and the international community, the staff recommends that the non-seismic part of the proposed rule issued for comment on October 20, 1992 be withdrawn.

Because the existing Part 100 rule references an outmoded source term that is incompatible with severe accident research as well as with ongoing review of advanced reactor designs, because the state of seismic knowledge is not adequately reflected in the present rule, and because the recommendations of groups such as the Kemeny Commission are not reflected, the staff does not recommend Option 1, retaining the present siting rule.

The staff considers that Option 4 represents a performance based standard (in Part 50) that permits application of severe accident research insights toward design of advanced plants, while more clearly stating basic reactor site criteria and principles in Part 100. This represents a limited decoupling of reactor design and siting which emphasizes the role of siting in the NRC's defense-in-depth policy. Together, these revisions provide a rational and understandable basis for reactor siting to the public, clear guidance to the industry, and would not be incompatible with the needs and conditions of the international community. Option 4 would permit use of updated source term knowledge towards design of advanced plants, and would state basic siting criteria directly in Part 100, including a requirement that reactors must be sited "away from" densely populated centers. However, numerical values would not be in the rule itself, but would be in a regulatory guide.


Seismic Recommendation:

As noted above, the staff recommends adoption of seismic Option 2. This would withdraw Appendix B and significantly streamline the seismic requirements in Part 100. The technical issues and guidance contained in Appendix B in the proposed rulemaking package would be incorporated into regulatory guides.

The staff believes that a streamlined version of the rule coupled with the development of new regulatory guidance will provide the proper level of details in the regulation.

COORDINATION:

The Office of the General Counsel has reviewed this paper and has no legal objection.

  
James M. Taylor  
Executive Director  
for Operations

Enclosures:

1. Response to SRM of August 12, 1993
2. Summary and Analysis of Non-Seismic Public Comments
3. Summary and Analysis of Seismic Public Comments
4. List of Commentors
5. Revised Source Term, Safety Goal and Severe Accident Insights for Reactor Siting
6. Proposed Basic Reactor Siting Criteria

Commissioners' comments or consent should be provided directly to the Office of the Secretary by COB Wednesday, February 9, 1994.

Commission Staff Office comments, if any, should be submitted to the Commissioners NLT Wednesday, February 2, 1994, with an information copy to the Office of the Secretary. If the paper is of such a nature that it requires additional review and comment, the Commissioners and the Secretariat should be apprised of when comments may be expected.

DISTRIBUTION:

Commissioners  
OGC  
OCAA  
OIG  
OPA  
OIP  
OCA  
OPP  
EDO  
ACRS  
SECY

RESPONSES TO REQUESTS FOR INFORMATION IN THE SRM DATED AUGUST 12, 1993

1. The extent to which the source term can be decoupled from the siting criteria in view of technological advancements

It should be noted that the staff proposal did not represent a complete decoupling of reactor design from siting, but rather established prescriptively an exclusion area size independent of plant-specific source term and dose calculations. The proposed rule was based upon an exclusion area size consistent with the source term and dose calculation results for current and evolutionary reactor designs, employing the TID-14844 source term and a conservative evaluation of fission product removal systems.

Setting a minimum exclusion area distance in the rule independently of individual plant source term and dose calculations would have the benefit of assuring predictability in a licensing hearing context.

On the other hand, setting the exclusion area size prescriptively may serve as a disincentive to the implementation of potentially significant technological advancements in reactor design or fuel factors that could affect radiological consequences, such as improved fission product mitigation systems, or improved retention of fission products within the fuel itself.

2. The technical and safety-related basis for siting criteria as opposed to what the U.S. can accommodate

Some aspects of the technical and safety-related basis for non-seismic aspects of reactor siting criteria are discussed in Enclosure 4, "Revised Source Term, Safety Goal and Severe Accident Insights." As noted in that enclosure, use of revised accident source terms together with a more realistic evaluation of fission product removal systems indicates that an exclusion area distance of 0.25 miles, or less, would satisfy the dose criteria of Part 100. The prompt fatality QHO of the Safety Goal would be met for very small exclusion area distances.

As also noted in Enclosure 4, severe accident risk insights indicate that future reactors could be located virtually anywhere solely from a Safety Goal perspective, even within densely populated cities, and pose very low risk to the population. In the United States, and particularly outside of the northeastern region, it is evident that more stringent siting criteria could be considered and there still would be a reasonable number of potential reactor sites.

3. The extent to which proposed reactor site criteria reflect concerns of potential users in other countries

In order to reflect concerns of potential users outside the U.S., proposed reactor site criteria would need to consider the differing geographic and demographic conditions of other countries. Since these conditions are likely to differ considerably from those in the U.S., as well from country to

country, such criteria would need to be as flexible as possible. Hence, such criteria should be stated in general terms or objectives, and should not include numerical criteria for distances or population densities in the rule itself, but these should be relegated to regulatory guidance. While such a rule would reflect concerns of users in other countries, it may be more difficult to implement in the U.S. (i.e., differing interpretations and reliance on regulatory guides rather than a rule).

Another concept to state reactor siting criteria would be to express them in terms similar to ALARA conditions; i.e., select sites from among the best that are available within the region. This approach is consistent with the NRC review under the National Environmental Policy Act (NEPA) for alternative site considerations and should not cloud safety considerations.

4. The pros and cons of less prescriptive revisions to Part 100 than those issued for public comment

Less prescriptive revisions to Part 100 have a clear advantage of maintaining flexibility in that reactors with different design features or of varying power levels (radioactive material inventory) can be accommodated by use of a suitable methodology. In addition, less prescriptive revisions are more likely to be compatible with potential criteria of users in other countries.

On the other hand, less prescriptive criteria have the disadvantage of the likelihood of increased litigation during licensing hearings with a concomitant increase in uncertainty.

5. The extent to which the reactor siting criteria conform to stated risk objectives, such as the Safety Goals, and the extent to which emphasis should be given to less quantifiable objectives such as defense-in-depth or prudence

As noted in Enclosure 4, based strictly upon stated risk objectives, such as the Safety Goals, the quantitative health objectives (QHOs) of the Safety Goals could be satisfied with a very small exclusion area distance (0.1 miles or less). Since the QHOs impose a limitation of individual risk only, the Safety Goals alone provides no guidance with regard to setting population limits beyond the exclusion area.

Based upon revised accident source terms, a more realistic treatment of fission product removal systems, and maintaining the dose limits currently in Part 100, the staff concludes that significantly smaller exclusion area distances (0.25 miles or less) would satisfy the dose limits.

Based upon severe accident insights, including the risks associated with core-melt and early bypass of or containment failure, the staff concludes that future reactors are expected to pose very low risks to large population centers, even if they were located within such centers. The staff continues to believe, however, that future reactors should continue to be located "away from" densely populated centers as an additional measure of defense-in-depth. Any criteria defining "away from" should provide an additional degree of mitigation, but should not be so stringent as to impact upon the availability

of a suitable supply of potential sites. Implementation of any criteria in this regard is likely to vary significantly from one nation to another, depending upon geographical and population distribution considerations.

6. The appropriate balance between deterministic and probabilistic seismic evaluations

The staff believes that it has achieved an appropriate balance between deterministic and probabilistic seismic hazard evaluations to be used in the revision of the Seismic and Geologic Siting Criteria for Nuclear Power Plants. The key elements of this balanced approach, as presented at the August 3, 1993 Commission briefing, are repeated below (the staff has been referring to it informally as the hybrid approach).

PROPOSED HYBRID APPROACH - KEY ELEMENTS

- TARGET EXCEEDANCE PROBABILITY SET BY EXAMINING CURRENT NUCLEAR POWER PLANTS
- CONDUCT PROBABILISTIC SEISMIC HAZARD ANALYSIS
- CONDUCT SITE SPECIFIC AND REGION SPECIFIC GEOSCIENCE INVESTIGATIONS
- CHECK TO DETERMINE IF GEOSCIENCE INVESTIGATIONS CHANGE PROBABILISTIC RESULTS
- CALCULATE SITE SPECIFIC GROUND MOTION FOR PLANT
- INDEPENDENT STAFF CHECK OF PROBABILISTIC RESULTS AGAINST SIMPLIFIED DETERMINISTIC ANALYSIS
- UPDATE OF DATA BASE AND PROBABILISTIC METHODOLOGY EVERY TEN YEARS

The proposed balance is a probabilistic rule, anchored by the Commission Severe Accident Policy Statement, with a series of thorough site-specific geoscience investigations and a deterministic check by the NRC staff reviewer. The U.S. utility industry through its designated representative, NUMARC, and about a dozen individual utilities has endorsed revised siting criteria that follow a philosophy similar to the philosophy behind the NRC staff's hybrid approach. The U.S. Geological Survey provided a series of comments and recommendations that led to and can be met by the hybrid approach. Therefore, two of the principal domestic protagonists in this revision, NUMARC and U.S. Geological Survey, are, in general, on board with the philosophy of this approach. However, there are still important details on the implementation of that philosophy that must be worked in the comment resolution. One example of these important details is that while the NRC proposed using Standard Review Plan Sec. 2.5.2 to obtain the site-specific ground motion from the controlling earthquakes, NUMARC is proposing a probabilistic scaling technique.



The principal concerns of the foreign commenters are understood by the staff and will be fully addressed in the "Comment Resolution Memorandum". (They are very broadly addressed in Enclosure 2.) Thus, the staff believes that there are no "show stoppers" among the commenters and the staff recommendation is to proceed with the seismic portion of the rulemaking. Additional material concerning the public comments on the seismic portion of the rulemaking are included in Enclosure 2.

7. The extent to which timing of proposed revisions are being driven by the prospects of an early site permit

The schedule for the proposed rule was driven, in part, by the expectation that a utility would apply for an early site permit (ESP) in conjunction with the Department of Energy (DOE) ESP demonstration program. A prospective ESP candidate has not been identified to test the ESP regulations and is no longer likely to be identified in the near term. Hence, the urgency for any proposed revisions of the reactor site criteria has diminished. The staff still believes that a revision to siting criteria is best accomplished absent an application to review an early site permit to avoid any appearance of special favor.

8. The extent to which proposed revisions support the Commission policy of consistent and predictable practice (e.g., the issue of assurance versus flexibility afforded by the proposed revisions)

The proposed revisions to Part 100 support the Commission's policy of predictable practice. Specification of a minimum exclusion area distance and numerical values for population density in the rule would provide assurance of a highly predictable mechanism to resolve site safety issues. However, fixed numerical criteria specified in a rule imply an accuracy that may not be warranted in assessing sites and do not allow flexibility in the event of reactor and plant design differences.

9. Plans to ensure that there is feedback between the source term development effort and the severe accident rulemaking process

The staff plans to ensure that there will be feedback between the development and implementation of an updated source term and any severe accident rulemaking. The staff is currently preparing a paper regarding source term related policy, technical, and licensing issues pertaining to evolutionary and advanced light-water reactor designs. In this paper the staff will propose positions regarding the implementation of updated source terms in licensing of evolutionary and advanced reactors. Approved positions will be used in preparing the staff's Safety Evaluation Reports (SER) for these plants.

In staff paper SECY-93-226, "Public Comments on 57 FR 44513 - Proposed Rule on ALWR Severe Accident Performance," the staff recommended that a decision on the need for generic rulemaking to address severe accidents be delayed at least until after the Final Safety Evaluation Reports (FSER) are issued for the ABWR and the System 80+. In an SRM dated September 14, 1993, the Commission approved this recommendation.

SUMMARY AND ANALYSIS OF NON-SEISMIC PUBLIC COMMENTS

Overview: Almost all of the public comments received relating to this proposed rulemaking showed an overwhelming sentiment against the proposed rulemaking and urged that it not be issued in final form.

Comments from the public agreed with ones from law firms representing utilities, and comments from state or federal organizations agreed with Foreign utilities and governments. Almost all reached the same conclusions (i.e., that the proposed rule should not be issued in final form) even though their arguments and logic differed significantly. For example, no one that commented on the exclusion area distance or the population density agreed with the numerical criteria in the proposed regulations. Representatives of environmental groups and the public felt that the exclusion area should be larger, while the utilities and international community felt that the exclusion area could be smaller or need not be specified in the regulation at all. Similarly, the proposed population density criteria was considered too high by the public and environmental groups and too low or too restrictive by the utilities and the international community.

No commentors liked the proposed rule - the public and environmental groups felt that the Commission was relaxing siting requirements while the nuclear industry felt that the proposed requirements were too restrictive, prescriptive and unwarranted.

Summary of Public Comments on Major Issues

The NRC staff appreciates the extensive public comments on this important rulemaking proceeding. The NRC received 82 public comment letters on the proposed rule change. A number of these letters represented the concerns of more than one individual or an organization. From the nuclear industry, the Nuclear Management and Resources Council (NUMARC) provided extensive comments which were endorsed by 12 U.S. utilities. Many foreign organizations and governments showed great interest in this rulemaking and provided significant comments. A letter was received which provided the comments and concerns of 9 Japanese nuclear electric utilities, while a law firm (Newman and Holtzinger) also submitted comments on behalf of the concerns of 13 foreign utilities (collectively known as the International Siting Group, ISG).

Comments were also received from environmental organizations representing a number of members. These included the Sierra Club (New Jersey Chapter), San Luis Obispo Mothers for Peace, Toledo Coalition for Safe Energy, Alliance for Survival, Seacoast Anti-Pollution League, Ad Hoc Committee to Replace Indian Point, Ecology Center of Southern California, Ohio Citizens for Responsible Energy, and Public Citizen.

A complete listing of each of the commentors is provided in Attachment A. The following is a listing and discussion of the major issues that were raised by public comments.

Issue 1: Should reactor siting requirements be decoupled from plant design?

Discussion: Twenty comment letters addressed this issue. 16 letters originated from representatives of the nuclear industry, both domestic as well as foreign. Four letters from environmental groups addressed this issue. Virtually all of the commentators opposed the concept of decoupling reactor siting requirements from plant design. The utility groups and foreign commentators were emphatically against this proposal. Most felt strongly that the present practice, as embodied over the last thirty years, of coupling reactor siting and plant design in the determination of the exclusion area and low population zone radius via the use of a postulated accidental release of fission products into the containment (source term) and calculated doses to hypothetical individuals had worked well and had resulted not only in improved reactor designs but also in selection of reactor sites that were safe. A comment from the nuclear industry, as represented by NUMARC, typified this view by stating:

"The industry recommends that the radiological dose consequence evaluation factors contained in the current 10 CFR Part 100 be retained as the key determinants of site suitability. ...We believe that criteria contained in the current Part 100, successfully used to safely site all licensed power reactors in the United States, have the prerequisite technical basis, provide for adequate protection of public health and safety, and are appropriate for the determination of exclusion area distance, low population zone, and population center distance of future nuclear power plant sites."

A comment from a private individual (J.Martin) was in a similar vein and stated:

"As a benchmark, it is well to state initially that the current rules and practices have worked well for thirty years. They provide for the basic safety objectives (unstated in the proposed rules):

- o robust, tight containments,
- o moderate standoff distances to populations, and
- o a modicum of flexibility in design and siting.

These objectives have been achieved under the current rules and practices... As a general overview, the proposed rule should be withdrawn."

Comments received from foreign organizations questioned the rationale for taking this action. A comment from a representative of the government of Italy (ENEA-DISP) in regard to decoupling reactor siting from design noted that:

"This is clearly the case of the problems connected to the definition of the exclusion area. On this matter our opinion is that both the Exclusion Area and Emergency Planning should be correlated to reactor design and related safety features."

A similar combined comment from representatives of the governments of France and Germany noted as follows:

"US-NRC intends to clearly decouple siting criteria from plant design features. In our meaning, the basis for demographic criteria is essentially the possibility to implement efficient emergency measures in case of an accidental situation (evacuation, sheltering, foodstuffs consumption control,...); accordingly, we think that a link must be maintained between demographic criteria and plant design features. Criteria defined for the present generation of nuclear power plants must not be renewed for the next generation of plants without considerations on the type, nominal power and containment characteristics of such plants."

Another comment from a utility in the United Kingdom (Nuclear Electric), foresaw possible negative impacts resulting from decoupling being used to relax plant design requirements, and stated that:

"The existing US regulation defines the exclusion area based on dose limits at the boundary of this area. To decouple these aspects by setting a very restrictive exclusion area could allow a relaxation in reactor safety to be accepted and place the emphasis on the site itself rather than on the reactor design."

In view of the strong opposition to decoupling voiced by representatives of the nuclear industry as well as foreign organizations, is noteworthy that virtually all of the environmental groups and members of the public who commented on this issue also were opposed to this proposal.

A major concern voiced was that its implementation would eliminate explicit consideration of public accident risk in reactor siting requirements. Environmental groups commenting on this issue believed that eliminating explicit consideration of accidents in reactor siting was undesirable because it could lead to undue easing of future reactor siting requirements. As stated by one commentator (Public Citizen):

"The Nuclear Regulatory Commission should not allow the removal of source term considerations from regulation. In fact, in the absence of a coherent safety goal policy, the site dose calculations provide a benchmark against which to measure the appropriateness of a reactor site."

The NRC's desire to rid regulation of accident dose considerations is quite understandable. The NRC and the nuclear industry could not justify nuclear power plant operation if the source term were updated rather than eliminated."

Another environmental group (Nuclear Information and Resource Service, NIRS) stated similar views on this as follows:

"Source term and dose calculations regulations were intended to help mitigate the consequences to the public and environment from a nuclear

reactor accident. Source term information provides the essential link in estimating what the impact on a particular geographical area around the plant after any given initiating event (such as a pipe break or an ECCS actuation signal failure.) Geographic location and associated demographic therefore remain important factors associated with the type and design of power station being proposed. It is illogical for NRC to assume that increasing the number of nuclear power plants is any reason to move towards less conservative regulations for siting.

NIRS objects to NRC assistance to a nuclear industry public relations campaign to sell the public on 'inherently safe reactor designs' for what must be vigilantly recognized as an inherently dangerous technology. Decoupling source term from reactor siting is, in fact, tantamount to abandoning concern for public health and safety to accommodate early site regulations."

One environmental group, Ohio Citizens for Responsible Energy, OCRE, did recommend setting a minimum exclusion area distance independently of source term and dose calculations, and proposed that the minimum exclusion area distance be 1.0 mile. Their comments are discussed as part of Issue 2, below.

Issue 2: Codification of a minimum distance to the exclusion area boundary (EAB) of 0.4 miles (640 meters).

Discussion: Twenty-two comment letters addressed this issue, and all were opposed to codification of the 0.4 mile exclusion area distance. Ten letters were from utilities, organizations representing utilities, foreign utilities and foreign governments. The overall thrust of this group of respondents was that the value of 0.4 miles for the exclusion area distance was not technically well justified and should not be codified but should be left in a regulatory guide. The commentators in this group also felt that the existing source term and dose evaluation methodology provided a technically superior methodology for determining the size of the exclusion area. In commenting on this proposal as well as on the question of the variation of exclusion area distance with reactor power level, NUMARC stated as follows:

"The exclusion area distance should be determined based on criteria contained in the current 10 CFR Part 100, since power level is not the sole determinant of risk....

The nuclear industry recommends that a suggested minimum exclusion area distance of 0.25 miles (400 meters) be adopted in Regulatory Guide 4.7 in place of the current 0.4 miles. Based on MELCOR Accident Consequence Code System (MAACS) calculations for prompt fatality consequences of postulated severe accidents, an exclusion area distance of 0.25 miles (400 meters) has been found to meet the quantitative health objective of the NRC Safety Goal Policy.... Therefore, future nuclear power plants will be guided to a minimum 0.25 mile exclusion area distance, but regulated to the current 10 CFR Part 100 requirements."

A comment from the Department of Energy (DOE) stated that it would be inconsistent to require improved future reactor designs to have larger exclusion areas than those for present plants, and noted that:

"The selected value for the exclusion area distance would exclude a number of existing sites, if future plants were to be sited on them. In light of the expectation that future plants most likely will be Advanced Light Water Reactors (ALWRs), and that ALWRs have improved safety characteristics as well as severe accident risk profiles an order of magnitude lower than existing plants, this EAB criterion sends an incorrect and confusing signal to the public. Plants with improved safety characteristics should not require greater exclusion areas than operating plants, which have been found safe by the NRC. We recommend that the value selected as the minimum EAB distance be selected to be compatible with the minimum EAB found to be adequate by NRC for operating plants."

The same commentor went on to suggest that

"... we recommend that the criteria for future site selections not be any more restrictive than the current criteria. We suggest that this can be accomplished by selecting a minimum exclusion area boundary of 0.25 miles, and keeping the concept of a LPZ, as presently defined in Part 100."

A number of foreign governments and utilities felt strongly against this proposal and indicated potentially severe consequences in the siting of future plants within their individual countries. One commentor from Taiwan noted:

"...the proposed rule change will impose a very big impact, which we think is not absolutely necessary from the safety point of view, on the development of our nuclear applications. We would therefore suggest that, instead of requiring a minimum exclusion area distance, NRC place this distance as a recommended value in the Regulatory Guide."

Twelve letters that commented on this issue were from the public or environmental groups who generally felt the proposed 0.4 mile exclusion area distance to be too small. Most of the respondents in this group provided little technical basis for this opinion. However, one environmental group, OCRE, proposed a minimum exclusion area distance of 1.0 miles, and provided its basis as follows:

"For the minimum EAB radius, OCRE would propose a distance of 1.0 mile. The basis for this distance is twofold: first, to minimize early fatalities, and second, to expand the zone of control by the licensee to exclude potential terrorist attackers. NUREG/CR-2239 [so-called Sandia Siting Study] notes that, for source term SST1 reduced tenfold, on the average fatalities would be confined to 1 mile. For the SST2 source term, early fatalities would be confined to 0.5 miles. It is concluded that for releases substantially than SST1, a 1 mile EAB can have a substantial impact even without an emergency response. NUREG-0625 [Report of the Siting Policy Task Force] also noted that increasing the

EAB to one mile would "provide significant additional protection against Class 9 accidents (p. 47).

OCRE believes that the EAB should serve not only to protect the public from the reactor, but also to protect the reactor from malevolent persons in society. A minimum EAB radius of 1.0 mile, within which the licensee has total control of all activities through ownership of property and the application of appropriate security measures, could help minimize the threat of terrorist acts of radiological sabotage."

This proposal that the exclusion area size should be determined so as to assure a high degree of mitigation for severe accidents (formerly referred to as Class 9 accidents), including those involving containment failure, was also echoed in a comment from another environmental group (Public Citizen), who stated:

"Nuclear industry efforts in the 1970's and 1980's concentrated on reducing the source term in order to persuade the public that nuclear power was perfectly benign. The NRC's risk studies rather than assuaging the public's fear of nuclear power has actually fanned it. NUREG-1150 completely undermines the assumptions necessary for the source term calculation. Basically, it explodes the myth that during a severe accident the reactor containment will hold. In its original form NUREG-1150 concluded that early containment failure could not be ruled out in a severe accident for any of the containments studied. (Reactor Risk Reference Document, NUREG-1150, February 1987, p. ES-14). If we were to create exclusion zones and low population zones based upon the reality of early containment failure, the public would be too alarmed to ever allow another nuclear reactor to be constructed."

Issue 3: Should existing reactor sites having an exclusion area distance of less than 0.4 miles be grandfathered for the possible placement of future nuclear power plants?

Discussion: Twenty three comment letters addressed this issue. Fourteen letters were from the public or environmental groups who were strongly opposed to grandfathering existing reactor sites having an exclusion area distance less than 0.4 miles for the possible placement of additional nuclear power units. The general sentiment in this regard was that safety standards, including siting regulations, should be applicable to all reactors, operating as well as proposed. Typical sentiments of the environmental groups on this aspect can be summarized by a quote from one of them (Public Citizen), as follows:

"As noted in the regulatory analysis accompanying the proposed rule, the effect of these requirements is to set both individual, and, to some extent, societal limits on dose (and implicitly risk)...'. This being the case, the grandfathering of existing reactors which violate the .4 mile exclusion zone would deprive certain individuals of equal protection under NRC regulations. The NRC should not grandfather those reactor sites which violate the .4 mile exclusion zone requirement. Ideally, the NRC should look to phase out those reactors which over time

have come to present a greater risk to the public health and safety. Since an NRC required phase-out is unlikely, the NRC should compensate by requiring enhanced emergency planning procedures for those closest the reactor."

A similar comment was received from NIRS who stated:

"NIRS objects to the 'grandfathering' of the 23 existing sites that could not meet the proposed standardized exclusionary zone. NRC continues to portray the operation of nuclear power plants as a benign technology, as if we are being asked to consider grandfathering an outhouse within city limits. If NRC is going to formulate standards, the basis for said standard should have solid foundations and it is then expected that NRC enforce the regulations at the substandard sites. 'Grandfathering' of aging and increasingly decrepit nuclear power plants underscores the NIRS' concern that the proposed standard represents 'old wine in a new skin.'

For the same reasons, NIRS objects to the siting of new reactors at 'grandfathered' sites. The public trust is further damaged by NRC formulating willynilly standards supposedly based on a public health and safety objective. New reactors should never be built where the sites are considered to be substandard."

A comment from a member of the public (B. Campbell) was shorter, but equally pointed:

"If a site has operating reactors that do not meet regulations, these should be shut down and certainly no more should be allowed to be built in the area."

Finally, another comment from an environmental group (Sierra Club-NJ Chapter) felt that grandfathering was unethical and stated that:

"Grandfathering of sites by the NRC is unethical. If plants can't meet inadequate existing safety standards, they shouldn't be operated at all, and new reactors should never be built on existing sites that already don't meet regulations."

One individual as well as several utilities or organizations representing utilities favored grandfathering. A comment from one utility (Yankee Electric) noted:

"Currently operating plant sites have demonstrated acceptable safety for current reactor designs. Once approved the site should never be challenged based upon later interpretation of minor aspects of the rule. The placement of additional units of advanced design on these sites should be determined on the basis that safety is maintained as a result of operating all the licensed units on a site. Expected dose is the measure that has been used very effectively to date. That same basis should be utilized for determining acceptability of unit placement on a site not occupied by an existing unit."



A comment from the Nuclear Power Plant Standards Committee (Nuppsco) of the American Nuclear Society (ANS), in response to the question whether sites with exclusion area distances less than 0.4 miles should be grandfathered, replied as follows:

"Yes. The numerical limit provides guidance at the time a site is considered; but once approved, a site should never be challenged ex post facto based on later interpretation of minor technical aspects of a rule."

Another individual (J. Martin), in response to the same question stated:

"Yes. But then why have the rule change? Since siting is such a political and emotional issue, rather than a technical one, the Commission should not tie its own hands in this regard. There is no need for a contorted generational set of rules. The proposed rule(s) should be withdrawn."

While representatives of some utilities favored grandfathering, not all utilities or utility representatives did. One letter from NUMARC, whose comments were endorsed by 12 utilities, stated as follows:

"Grandfathering, which is necessary if a new approach to siting is required, would be unnecessary if the existing siting requirements were maintained. Siting requirements for future power reactors should achieve a level of acceptable safety that is consistent with requirements for currently licensed plants. Currently licensed plants have demonstrated acceptable safety for their reactor designs. The placement of additional units of advanced designs on a site should be determined on the basis that safety is maintained as a result of operating all the licensed units on that site. This same basis should be utilized for determining acceptability of unit placement on a site not occupied by an existing unit. The nuclear power industry believes that radiological dose consequence evaluation factors in the current 10 CFR Part 100 are the key and appropriate determinants for site suitability to host additional reactors on a site and that these determinants should be maintained in the rule."

Another nuclear utility (Entergy) indicated that grandfathering introduced the concept of dual siting standards which the commentator stated were inappropriate and that the problem lay with the proposed rule. This comment noted that:

"The fact that existing sites have been evaluated for suitability from safety consideration apart from the proposed exclusion area and found acceptable is indicative of the problem with this proposed rule. The proposed basis for determining site suitability restricts NRC flexibility unnecessarily with no appreciable increase in health and safety. The key factors for determining site suitability for additional units at an existing site or evaluating new sites are the radiological dose consequence evaluation factors in the current 10 CFR 100. Dual siting safety standards are inappropriate and should be discouraged."

Issue 4: Codification of a population density not to exceed 500 people per square mile out to 30 miles at site approval and 1000 people per square mile 40 years thereafter.

Discussion: Twenty eight comment letters addressed this issue. Twelve letters were from the nuclear industry. These included letters from NUMARC, whose comments were endorsed by 12 U.S. utilities, as well as one representing the concerns of 9 Asian nuclear electric utilities. 16 letters were from members of the public and environmental groups. Virtually all commentators were opposed to this proposal; nonetheless their rationale was diametrically different. One environmental group (Sierra Club-NJ Chapter) did not provide its thinking as to whether population density criteria should be codified, but it felt strongly that the proposed distance of 30 miles was inadequate, since it stated:

"The NRC's proposal to allow 1,000,000 people to reside about 30 miles from the plant, just because it represents present shoddy practice, for which many reactors have been granted grandfather siting rights (because they were built before the latest regulations were adopted) represents dereliction of responsibility by the NRC. 30 miles is a tiny distance. The poisons from Chernobyl traveled hundreds and even thousands of miles."

An environmental group (Public Citizen) that did favor specifying population density criteria in the regulation stated as follows:

"The NRC should include numerical values for population density in the regulation. To place the values in a regulatory guide would essentially remove the teeth of the regulation. If its in the regulations it is, at least hypothetically, enforceable."

In regard to the proposed population density value of 500 persons per square mile out to a distance of 30 miles, this same commentator noted as follows:

"As a public policy consideration, it would seem the NRC would want to site reactors as far from population centers as possible. One way to accomplish this would be to decrease the allowable population density. While Public Citizen has no specific values it would like to see codified, the values adopted by NRC should reflect certain realities. The values should acknowledge the reality of the Chernobyl accident and the fact that early containment failure can not be rule[d] out with high confidence for any of the plants studied in the Reactor Risk Reference Document, NUREG-1150.

The population density criteria should be specified out to a distance of at least 30 miles. A case could be made to extend this distance based upon the experience of Chernobyl and the likelihood of early containment failure in the event of a severe accident."

Another environmental group, NIRS, also argued for reduced population density criteria as well as for larger distances, by stating:

"NIRS is opposed to proposed NRC rule changes on population density and the NRC failure to consider population restrictions beyond a 30 mile radius. NIRS takes the position that population density for reactor siting criteria should not be increased; it should be decreased.

The 1979 Siting Task Force held that from the exclusion zone to 5 miles the maximum population density should be at most 100 people per square mile; from 5-10 miles, 150 people per square mile; and from 10-20 miles, 400 people per square mile.

NRC justifications for increased population density figures in the low population zone are based in the Commission's Policy Statement on Safety Goals quantitative health objective in regard to estimates for latent cancer fatalities and land contamination.

NRC analyses that 'population density restrictions out to 40 miles could make it difficult to obtain suitable reactor sites in some regions of the country' is an outrageous admission on the part of NRC that easing of reactor siting criteria is more a priority than public health and safety. It can be construed that in this case 'suitable reactor sites' has more to do with marketability of electricity than with public safety. In light of far-reaching consequences demonstrated in the Chernobyl accident, the public is likely to be unwilling to believe that radiation contamination can be limited to arbitrarily drawn political lines, such as the 10 mile Emergency Planning Zone. While NIRS and the public are willing to distinguish technical design differences between the RBMK reactor and US models, both operational and new design, it is now broadly recognized that the release of any fission reactor's radioactive inventory once borne on the weather knows no arbitrary established boundary.

NIRS objects to NRC basing any of its regulations on the marketability of nuclear power and reasserts that protecting the public health and safety is the NRC primary responsibility in regulating nuclear power.

NIRS takes the position that population restriction zones should be extended out to the currently established accident interdiction limits outlined in the 50 mile ingestion pathway zone (IPZ)."

Comments received from industry and foreign organizations did not focus on the specific proposed numerical criteria as such, but rather with the placement of numerical values of population density in a rule. The industry also believed that there was no strong technical basis for the population density values proposed and clearly preferred that any population criteria remain in a regulatory guide. The comments offered by NUMARC echoed this thought by noting:

"Population density numeric limits should not be codified in regulation because such criteria provide essentially no contribution to the

protection of public health and safety regarding offsite radiological dose risk beyond the immediate area adjacent to the power plant. The NRC has determined that there are no measurable health and safety impacts to the public from normal operation of a nuclear power plant. NUREG-0880 states, 'For all plants licensed to operate, NRC has found that there will be no measurable radiological impact on any member of the public from routine operation of the plant. (Reference: NRC staff calculations of radiological impacts on humans contained in Final Environmental Statements for specific nuclear power plants, e.g., NUREG-0779, NUREG-0812, and NUREG-0854).' The remaining consideration for siting a nuclear power plant is the risk regarding offsite radiological dose from postulated fission product releases. Therefore, the appropriate determinants for site suitability should remain the radiological dose consequence evaluation factors contained in the current 10 CFR Part 100. Regulatory Guide 4.7 and other NRC guidance documents should be revised to provide guidance consistent with the latest accepted knowledge regarding postulated severe accident consequences and reflect the benefits afforded by the 10 CFR Part 52 process, standardization of future advanced nuclear plant designs, and conclusions of studies that have been performed by the NRC and the industry....

In addition, as stated in the Federal Register, these criteria should not be considered as an upper limit of acceptability. Much higher population density values have been determined as providing no undue risk to public protection and safety. Codification of requirements to forecast population density values forty years into the future and then compare them to an arbitrary numeric criteria (1000 person per square mile) for site suitability determinant is inappropriate since such requirements serve no useful purpose in determining risk to the public from radiological doses consequences."

One utility (General Atomic) stated simply that:

"It is our judgement that numerical values of population density should not appear in the regulation but be provided as general guidance in a regulatory guide."

A comment from the Department of Energy suggested retention of the concept of the low population zone (LPZ) as follows:

"... we conclude that the existing concept of a LPZ, as defined in Part 100, provides a better approach for factoring nearby population centers into siting decisions, and avoiding sites in proximity to high population densities... We recommend, therefore, that the population density criteria in the proposed revisions be deleted, and that the requirements for defining a LPZ surrounding the plant be retained in Part 100."

A large number of comments were from foreign governments, foreign utilities and organizations representing foreign interests. They were greatly concerned that codification of these numerical population density criteria would impact their countries and organizations since almost all European and Asian

countries would not be able to meet the proposed population density criteria. This concern could be characterized by the following quote from a law firm (Newman and Holtzinger, representing the International Siting Group, ISG) representing 13 foreign utilities:

"... they are inconsistent with the internationally accepted principle of establishing site safety standards which permit (and recognize the necessity to have) flexibility in balancing the various factors important to the safe siting of nuclear power plants. If adopted, the regulation could unnecessarily force review of the presently accepted site safety principles and raise questions about whether presently operating nuclear power plants provide adequate protection of the public and environment when the plants were located in more densely populated areas or have smaller exclusion areas than the revised criteria would permit. Moreover, should these proposed revisions become the norm, they would preclude the siting of nuclear power plants in many areas of Western Europe and Asia and result in a dependence on energy alternatives with less favorable environmental impact."

Another comment from representatives of two foreign governments (France and Germany) commented on the need for flexibility and the distance of 30 miles by stating:

"We agree that special attention has to be paid to the distances from the plants to cities and/or densely populated areas (and to the evolutions of the demographic characteristics of the sites during the operating life of the plants), as one among the various parameters concerning the preparation of emergency measures. But technically speaking, this problem cannot be dealt with by the means of a single population density limit of 500 persons per square mile up to a distance of 30 miles. Furthermore, the value of 30 miles seems high and not justified."

A nuclear utility located in Korea (Korea Electric Power Co.) also felt that numerical criteria in the regulation was not needed as well as potentially detrimental, since:

"The numerical demographic criteria will lead to questions concerning the safety of current nuclear power sites which do not meet the proposed population density criteria, not only in the United States, but in other countries as well.

There is no current need for codifying demographic criteria because the present Regulatory Guide 4.7 works sufficiently for regulatory purposes."

Still another comment from a utility in the U.K. noted:

"We agree that current plant designs can and are being shown worldwide to have acceptable risks at sites that have significantly higher population densities than those being proposed in the regulation.

Hence if the proposed new criteria are to be used purely to determine whether alternative sites with lower population densities should be considered, this will lead to confusion, particularly outside the nuclear industry and in other countries. If this is the case then we recommend that these values remain in the Regulatory Guide alone as already suggested as an appropriate alternative."

#### Issue 5: Periodic Reporting of Offsite Hazards.

Discussion: This issue did not generate the strong views produced by the previous issues; nonetheless 9 comment letters addressed this issue. Four comment letters were in favor of periodically reporting changes in potential offsite hazards (new dams in local rivers, new airports, etc.). The 5 opposing letters were largely from utilities. One of these letters, from NUMARC, felt that such a requirement was inappropriate as well as redundant since they noted that:

"A new requirement for periodic reporting of offsite hazards is inappropriate. Such a requirement is redundant to current requirements (10 CFR 50.71(e)) for operating licenses (OL) to report potential offsite hazards impact on the plant, as the impact affects public health and safety, through the licensee's update and report to the NRC of its Final Safety Analysis Report (FSAR). During the term of the early site permits (ESP) or construction permits (CP) there is no regulatory purpose for periodically reporting changes in potential offsite hazards. Before a plant with a CP or ESP can begin operation the NRC must grant an OL or combined license (COL) (10 CFR 52.79(b)). The proceedings to obtain an OL or COL require consideration of any significant new information not previously considered in the ESP or CP, including changes in offsite hazards. Therefore, at the point where there is a regulatory purpose to have ESP or CP holders consider potential offsite hazards and make NRC aware of those with significant impact, there already exists an effective regulatory requirement. An added reporting requirement would be redundant and inappropriate."

One organization representing government and utility interests in Belgium (AIB-Vincotte Nuclear) was in favor of this proposal and stated that

"We also consider that a periodic update of the impact of conditions around a site should be performed. We recommend that this be done every 10 years rather than 5 years. This is consistent with the Belgian Special Review of the total plant."

#### Issue 6: Should recommendations of the Siting Policy Task Force report (NUREG-0625) be reconsidered if not already adopted by the Commission?

Discussion: Twenty one comment letters addressed this issue. Fifteen letters, all from environmental groups and members of the public, were in favor of this proposal and focussed on the concept of adopting minimum permissible standoff distances from man-made and natural hazards such as airports, liquid natural gas terminals, geologic faults, etc. Typical comments from representatives favoring adoption of minimum standoff distances for man-related potential

hazards were those given by the Nuclear Information and Resource Service (NIRS), as follows:

" NIRS concurs with the 1979 Siting Task Force recommendations to establish minimum standoff distances for all nuclear power plant sites from major airports and military bases, Liquid Natural Gas terminals, large propane and natural gas pipelines, explosive and toxic material industrial sites, major dams, and capable faults. NRC is deferring its duty to protect public health and safety by failing to incorporate tough minimum standoff distance limits in the siting criteria."

The remaining 6 letters were from utility organizations. One of these letters was from NUMARC whose comments were additionally endorsed by 12 utilities. They focussed on the fact that the Commission is under no obligation to accept only Task Force recommendations. NUMARC comments on this issue stated:

"There are no additional recommendations contained in the report of the Siting Policy Task Force (NUREG-0625), dated August 1979, that should be reconsidered for adoption. NUREG-0625 contains policy recommendations that may no longer be appropriate because the assumptions underlying those recommendations were based on information that predate the large amount of accepted knowledge about postulated severe accident phenomena, probability and consequences gained since 1979."

Issue 7: Should states have a veto over the siting of future nuclear power plants?

Discussion: Comments on this issue were not specifically requested by the Commission in the Federal Register notice. Nevertheless, 13 comment letters, all from members of the public or environmental groups, raised this issue. All strongly stated that states should have veto powers over the siting of nuclear power plants. Typical of the sentiment expressed for this issue is a quote from one group (NIRS) as follows:

"NIRS argues that States should and do have the right to deny site permits. State governments are asked to assume many responsibilities with regard to nuclear power plants ranging from 'low-level' radioactive waste management to emergency planning. States therefore have the right to evaluate their resources and balance them with utility interests. NIRS argues that States have the right to exercise a more significant role in determining energy resource management in nonconventional fuel sources and energy efficiency and conservation programs for meeting energy needs."

Another environmental group (Alliance for Survival) expressed a similar reaction by stating:

"States should have the right to deny sites for nuclear power plants--as well as hazardous waste incinerators and other projects which are a danger to public health and safety."

Issue 8: Will this rulemaking (if codified) have a positive or negative effect on the siting of future nuclear power plants?

Discussion: 10 comment letters discussed this proposal, all of these from utilities and foreign utilities and/or governmental entities. One of these letters was from a law firm (Newman and Holtzinger, representing the International Siting Group, ISG) representing the concerns of 13 foreign utilities and one was from NUMARC whose comments were endorsed by 12 utilities. All commentators felt that this rulemaking, if codified would have a significant negative effect on current operating nuclear power plants and disastrous effects on the siting of future plants. A comment from NUMARC stated:

"This NRC action has the potential for significant unintended impacts to both currently licensed and future plants without providing any identifiable improvement to public health and safety. The proposed criteria could inappropriately disqualify a significant number of licensed nuclear power plant sites and otherwise acceptable new sites from availability to host a new nuclear power plant in the future. Furthermore, adoption of the proposed criteria may adversely affect public perception regarding the acceptable safety of existing plant sites during their operating term and during plant license renewal proceedings."

A particular point raised in this regard was the possible impact of the proposed rule upon foreign utilities. A law firm (Newman and Holtzinger) representing several foreign utilities (ISG) stated as follows:

"Although foreign utilities are not legally bound by the proposed rule, their national nuclear standards are consistent with the nuclear safety standards of the International Atomic Energy Agency (IAEA), which were strongly influenced by the NRC's siting standards. If the proposed revisions to the siting regulations in 10 CFR Part 100 are adopted, the process for selecting new nuclear power plant sites would fundamentally change, thereby forcing reconsideration of IAEA and national nuclear safety siting standards and raising questions about the adequacy of present and future nuclear power plant sites to ensure adequate protection of the public health and safety in foreign countries."

A foreign utility in Taiwan noted that:

"It is believed that the proposed rule change on 10 CFR 100 will impose a great impact to our local nuclear development yet have no significant safety enhancement. Therefore, serious reconsideration before any further action is strongly recommended."

This same utility also commented regarding the impact of the proposed rule on utilities in Taiwan, stating:

"Last but not the least, the licensability in the country of origin for reactor design and siting is set forth as a minimum requirement in Taiwan. Once the proposed rule becomes effective, TPC (Taiwan Power



Company) may be forced to purchase reactors from countries other than the USA simply due to the problem associated with the rule compliance in siting."

Finally, a comment received from 9 Japanese utilities stated:

"Although it is true that nuclear safety regulation within a particular country remains the national responsibility of that country, it is also true that many countries made reference to the US rule when establishing their rules for LWR safety regulation and the US will continue be very influential in the arena of international safety standards. The proposed revisions, if adopted, will seriously impact the U.S. nuclear industry, as well as the nuclear industry in other countries.

In the earliest days of nuclear reactor siting, the exclusion area was set in relation to core thermal power. Later, however, with the incorporation of engineered safeguards into the design, U.S. siting standards were revised to take these design features into consideration. Many countries with commercial nuclear power plants adopted the U.S. approach. We are confident that this siting approach, together with the other codes, standards and practices to ensure safety, has been sufficient to ensure adequate protection of the health and safety of the public from any undue risk that may arise from the operation of nuclear power plants.

By setting certain predetermined numbers for population density and exclusion area, the proposed revisions, if adopted, would reverse this history of ensuring safety through the incorporation of safety technology into the design and would unnecessarily create confusion among the countries using nuclear power."

Issue 9: Was sufficient technical justification provided in the proposed rulemaking package to warrant codification?

Discussion: Eight comment letters focused on this question, all were from utilities and foreign utilities and/or governmental entities. One of these letters was from a law firm representing the concerns of 13 foreign utilities; and one was from NUMARC whose comments were endorsed by 12 utilities. All commentators felt that there did not exist sufficient technical justification to warrant codification of this proposed rulemaking. The following comment from NUMARC illustrates this view:

"Codifying in regulation the guidance contained in Regulatory Guide 4.7 (RG-4.7), numeric criteria for minimum exclusion area distance and population density is inappropriate. This guidance has no demonstrated technical basis and does not reflect the accumulated experience of operating reactors and studies performed by the NRC and the industry since 1975."

## SUMMARY AND ANALYSIS OF SEISMIC PUBLIC COMMENTS

For the purpose of this paper, the comments are divided into domestic and international comment sources; the international comment sources can be subdivided into those from regulatory agencies and those from foreign utilities. While the staff is giving priority to the domestic comments, the foreign comments and concerns are being fully addressed, principally in the "Comment Resolution Memorandum" that will be part of the final rulemaking package.

Among the domestic commenters, the single greatest concern expressed was that about the potential difficulties with the reconciliation of the differences between the probabilistic and deterministic evaluations required by the parallel approach in the draft rulemaking package published for comment. Except for the few commenters who would not accept any form of probabilistic evaluation, the proposed hybrid approach, briefly described in the body of the Commission Paper in response to Issue 6, should accommodate the majority of domestic comments. The detailed "Comment Resolution Memorandum" will address how each of the specific comments was accommodated and will explain why the "deterministic only" approach was not accommodated.

The comments from the foreign utilities (particularly those from the Pacific rim countries, which have tectonic regimes significantly different from the eastern U. S.) principally concerned the maturity of probabilistic seismic hazard assessments (PSHA), vis. a vis, its use in a regulation, and the difficulties anticipated in applying the criteria in their individual country; they also noted the NRC staff's inability to reach consensus on the appropriate balance between deterministic and probabilistic evaluations. The hybrid approach should resolve the balance issue and its philosophical compatibility to the NUMARC and U. S. Geological Survey positions should address the maturity issue, at least, for the United States. The remaining element of concern, the adaptability of the U.S. probabilistic method to individual countries is a matter of recognition that the proposed method in the draft regulatory guide is specific to the U.S. situation and particularly the eastern U.S. where there is a history of the use of probabilistic concepts in resolving regulatory issues and for which two large seismic hazard programs exist with substantial data bases. It is imperative that the nature and emphasis on the probabilistic method must be consistent with the tectonic regime and available data base of the individual country. The DG-1015 clearly recognizes this situation for the western U. S. To alleviate the worries of the foreign commenters, the commentary for revised DG-1015 will emphasize that the purpose of the probabilistic method is to account for uncertainty, and the nature of uncertainty and how to account for it depends to a great extent on the tectonic regime and parameters, such as, the existence of known seismic sources, the existence of strong ground motion records, and the knowledge of geology. Both the probabilistic method and deterministic investigations should be and must be adapted to the particular situation. With the inclusion of such clarification in the commentary, the foreign commenters should not feel compelled to adopt DG-1015's specific probabilistic procedures but still can, in principle, accommodate the philosophy of the hybrid approach.

In addition to comments similar to those from the foreign utilities, the comments from the foreign regulatory agencies, principally from individual staff members rather than from the management of the agency, were generally on specific technical points of the revision published for comment. These specific comments would be addressed on their individual merit as the details of the hybrid approach and the "Comment Resolution Memorandum" are prepared.

Thus, the principal elements of a U.S. consensus on the acceptance of the hybrid approach are in hand, and the principal concerns of the foreign utility commenters are broadly addressed here and will be fully addressed in the "Comment Resolution Memorandum".

LIST OF COMMENTORS

<u>NUMBER</u>	<u>DATE DOCKETED</u>	<u>COMMENTOR</u>
1	01/04/93	COMMENT OF SIERRA CLUB (NEW JERSEY CHAPTER) (SIDNEY J. GOODMAN)
2	01/06/93	COMMENT OF PAUL MOSS
3	01/11/93	COMMENT OF SAN LUIS OBISPO MOTHERS FOR PEACE (JILL ZAMEK, TREASURER)
4	01/12/93	COMMENT OF DAVID NIXON
5	01/15/93	COMMENT OF JOHN O. KING
6	01/15/93	COMMENT OF TOLEDO COALITION FOR SAFE ENERGY (CHARLENE JOHNSTON)
7	01/19/93	COMMENT OF ALLIANCE FOR SURVIVAL (BARBARA GARTNER, DIRECTOR)
8	01/21/93	COMMENT OF BILL NIERSTEDT
9	02/01/93	COMMENT OF BOB BRISTER
10	02/01/93	COMMENT OF SEACOAST ANTI-POLLUTION LEAGUE (CHARLES W. PRATT)
11	02/02/93	COMMENT OF A. DAVID ROSSIN
12	02/04/93	COMMENT OF J. COURTLAND ROBINSON
13	02/08/93	COMMENT OF JAMES A. MARTIN, JR.
14	02/08/93	COMMENT OF ELIZABETH H. MEIKLEJOHN
15	02/12/93	COMMENT OF BRUCE CAMPBELL
16	02/16/93	COMMENT OF EVA MANSELL
17	02/16/93	COMMENT OF DEIRDRE DONCHIAN
18	02/16/93	COMMENT OF AD HOC COMMITTEE TO REPLACE INDIAN POINT (ANNA MAYO)
19	02/16/93	COMMENT OF JOHN W. G. TUTHILL
20	02/17/93	COMMENT OF DINI SCHUT

<u>NUMBER</u>	<u>DATE DOCKETED</u>	<u>COMMENTOR</u>
21	02/18/93	COMMENT OF REPUBLIC OF CHINA ATOMIC ENERGY COUNCIL (TSING-TUNG HUANG)
22	02/19/93	COMMENT OF A.N.S. SPECIAL COMM. ON NEW CONSTRUCTION (EDWARD L. QUINN & KYLE H. TURNER)
23	02/22/93	COMMENT OF DAVID LEISING
24	02/22/93	COMMENT OF GENERAL ATOMICS (R. M. FORSELL, SR. V.P.)
25	02/23/93	COMMENT OF DR. Z. REYTLATT
26	02/23/93	COMMENT OF ECOLOGY CENTER OF SOUTHERN CALIFORNIA (ALBERT PINKERSON)
27	02/26/93	COMMENT OF KOREA ELECTRIC POWER CORPORATION (CHUNG, BO HUN, V.P.)
28	03/02/93	COMMENT OF NUCLEAR SAFETY INSTITUTE [BELGIUM] (AIB-VINCOTTE) (J. VERLAECEN & B. DE BOECK)
29	03/05/93	COMMENT OF CORPS OF ENGINEERS (ELLIS L. KRINITZSKY)
30	03/08/93	COMMENT OF ASSOCIATION OF ENGINEERING GEOLOGISTS (JEFFREY R. KEATON, PRESIDENT)
31	03/12/93	COMMENT OF W. SCOTT DUNBAR
32	03/12/93	COMMENT OF OHIO DEPARTMENT OF NATURAL RESOURCES (DR. MICHAEL C. HANSEN)
33	03/12/93	COMMENT OF NORTH DAKOTA GEOLOGICAL SURVEY (JOHN P. BLUEMLE)
34	03/15/93	COMMENT OF FEDERATION OF ELECTRIC POWER COMPANIES [JAPAN] (RYO IKEGAME, CHAIRMAN)
35	03/17/93	COMMENT OF ELECTRICITE DE FRANCE (REMY CARLE, EXEC. V.P.)
36	03/22/93	COMMENT OF NUCLEAR POWER ENGINEERING CORPORATION [JAPAN] (MASAYOSHI SHIBA, DIRECTOR GENERAL)
37	03/22/93	COMMENT OF VEREINIGUNG DEUTSCHER ELEKTRIZITÄTWERKE [GERMANY] (DR. JOACHIM GRAWE)

<u>NUMBER</u>	<u>DATE DOCKETED</u>	<u>COMMENTOR</u>
38	03/22/93	COMMENT OF NEW YORK POWER AUTHORITY (RALPH E. BEEDLE)
39	03/23/93	COMMENT OF SCOTTISH NUCLEAR LIMITED (R. J. KILICK)
40	03/23/93	COMMENT OF G C SLAGIS ASSOCIATES (GERRY C. SLAGIS)
41	03/23/93	COMMENT OF ENEL [ITALY] (INGG. VELONA-FORNACIARI)
42	03/24/93	COMMENT OF MONTANA BUREAU OF MINES AND GEOLOGY (EDWARD T. RUPPEL, DIRECTOR)
43	03/24/93	COMMENT OF OHIO CITIZENS FOR RESPONSIBLE ENERGY (SUSAN L. HIATT, DIRECTOR)
43A	03/25/93	CORRECTION NOTICE SUBMITTED BY THE OHIO CITIZENS FOR RESPONSIBLE ENERGY, INC., CORRECTING PAGE 11, PARAGRAPH ONE OF COMMENT NUMBER 43.
44	03/24/93	COMMENT OF YANKEE ATOMIC ELECTRIC COMPANY (D. W. EDWARDS)
45	03/24/93	COMMENT OF CALIFORNIA DEPARTMENT OF CONSERVATION (JAMES F. DAVIS)
46	03/24/93	COMMENT OF GEORGIA POWER COMPANY (J. T. BECKHAM, JR., V.P.)
47	03/24/93	COMMENT OF SOUTHERN NUCLEAR OPERATING COMPANY (J. D. WOODARD)
48	03/25/93	COMMENT OF VIRGINIA POWER (WILLIAM L. STEWART, SENIOR, V.P.)
49	03/25/93	COMMENT OF ENEA [ITALY] (GIOVANNI NASCHI)
50	03/25/93	COMMENT OF NUCLEAR MANAGEMENT AND RESOURCES COUNCIL (WILLIAM H. RASIN, V.P.)
51	03/25/93	COMMENT OF NUCLEAR INFORMATION AND RESOURCE SERVICE (NIRS)
52	03/25/93	COMMENT OF DEPARTMENT OF ENERGY (DWIGHT E. SHELOR)
53	03/25/93	COMMENT OF WESTINGHOUSE ELECTRIC CORP. ENERGY SYS. (N. J. LIPARULO)

<u>NUMBER</u>	<u>DATE DOCKETED</u>	<u>COMMENTOR</u>
54	03/25/93	COMMENT OF PUBLIC CITIZEN (JAMES P. RICCIO, ESQ.)
55	03/26/93	COMMENT OF NIAGARA MOHAWK POWER CORPORATION (C. D. TERRY, V.P.)
56	03/24/93	COMMENT OF WINSTON & STRAWN (MARK J. WETTERHAHN & K. M. KALOWSKY)
57	03/26/93	COMMENT OF GE NUCLEAR ENERGY (P. W. MARRIOTT)
58	03/29/93	COMMENT OF SUSAN BURKE
59	03/29/93	COMMENT OF ENTERGY OPERATIONS, INC. (JOHN R. MCGAHA, V.P.)
60	03/29/93	COMMENT OF TWELVE FOREIGN ELECTRIC COMPANIES (JANET E. B. ECKER)
61	03/30/93	COMMENT OF GULF STATES UTILITIES COMPANY (J. E. BOOKER)
62	03/30/93	COMMENT OF SOUTH CAROLINA ELECTRIC & GAS COMPANY (JOHN L. SKOLDS, V.P.)
63	04/01/93	COMMENT OF NUCLEAR ELECTRIC [UNITED KINGDOM] (DR. B. EDMONDSON)
64	03/30/93	COMMENT OF FLORIDA POWER & LIGHT COMPANY (W. H. BOHLKE, V.P.)
65	04/08/93	COMMENT OF MINISTERE DE L'INDUSTRIE ET DU COMMERCE EXTERIEUR AND BUNDESMINISTERIUM FUR UMWELT, NATURSCHUTZ UND REAKTORSICHERHEIT [FRANCE AND GERMANY] (MICHAEL LAVERIE & WALTER HOHLEFELDER)
66	04/14/93	COMMENT OF DELAWARE GEOLOGICAL SURVEY (THOMAS E. PICKETT, ASSOC. DIR.)
67	04/26/93	COMMENT OF TENNESSEE VALLEY AUTHORITY (MARK J. BURZYNSKI)
68	05/03/93	COMMENT OF FLORIDA POWER CORPORATION (ROLF C. WIDELL)
69	05/24/93	COMMENT OF DEPARTMENT OF ENERGY (JEFFREY K. KIMBALL)

<u>NUMBER</u>	<u>DATE DOCKETED</u>	<u>COMMENTOR</u>
70	05/26/93	COMMENT OF NATIONAL ATOMIC ENERGY AGENCY [INDONESIA] (DJALI AHIMSA, DIRECTOR GENERAL)
71	05/28/93	COMMENT OF NUCLEAR MANAGEMENT AND RESOURCES COUNCIL (WILLIAM H. RASIN)
72	06/01/93	COMMENT OF DEPARTMENT OF ENERGY (E. C. BROLIN)
73	06/01/93	COMMENT OF NORMAN R. TILFORD
74	06/01/93	COMMENT OF INTERNATIONAL SITING GROUP (WILLIAM O. DOUB, ESQ.)
75	06/14/93	COMMENT OF U. S. GEOLOGICAL SURVEY (DALLAS L. PECK, DIRECTOR)
76	06/17/93	COMMENT OF ILLINOIS STATE GEOLOGICAL SURVEY (MORRIS W. LEIGHTON, CHIEF)
77	06/17/93	COMMENT OF ATOMIC ENERGY COMMISSION OF ISRAEL (DR. Y. WEILER)
78	06/28/93	COMMENT OF AMERICAN NUCLEAR SOCIETY (DR. WALTER H. D'ARDENNE)
79	06/29/93	COMMENT OF SARGENT & LUNDY ENGINEERS (B. A. ERLER)
80	06/29/93	COMMENT OF VERMONT AGENCY OF NATURAL RESOURCES (LAURENCE R. BECKER)
81	06/29/93	COMMENT OF TU ELECTRIC (WILLIAM J. CAHILL, JR., V.P.)
82	06/29/93	COMMENT OF NORTHERN STATES POWER COMPANY (ROGER O. ANDERSON)



REVISED SOURCE TERM, SAFETY GOAL AND SEVERE ACCIDENT INSIGHTS  
FOR REACTOR SITING

The non-seismic, or demographic aspects of reactor siting involve primarily the determination of the size of the exclusion area and objectives regarding population density or distribution beyond the exclusion area. These are discussed below.

I. EXCLUSION AREA

The exclusion area, that area immediately surrounding the reactor where no residents are permitted and where the licensee has the authority to determine all activities, including the removal of persons in the event of an emergency, has been a requirement since promulgation of the rule in 1962. An earlier staff study by the Siting Policy Task Force (NUREG-0625) recommended continuation of this requirement. The staff continues to believe that an exclusion area should be required for the following reasons:

- to provide reasonable assurance that the radiological effluent design objectives associated with normal reactor operation, specified in 10 CFR Part 50, Appendix I, will be met;
- to provide reasonable assurance that the radiological consequences of a range of postulated accidents, up to and including the limiting design basis accident considered, will be acceptable for an individual located at the nearest boundary of the exclusion area for a specified time;
- to provide reasonable assurance that appropriate security plans can be made and measures established so that potential acts of sabotage pose no undue risk to the plant; and
- to provide reasonable assurance that adequate protective measures for members of the public can be taken in the event of an emergency.

Currently, the size of the exclusion area is based upon postulating a number of accidents (the so-called design basis accidents) and evaluating them to provide reasonable assurance that the radiological consequences of the limiting design basis accident are adequate to protect the public. The exclusion area serves to provide a limitation on individual accident risk. It should be noted that while the size of the exclusion area (together with plant design) assures acceptably low consequences for design basis accidents (up to and including degraded core accidents where the containment remains intact, but leaks at its maximum allowable leak rate), it is not intended to assure acceptable consequences in the unlikely event of severe accidents involving core-melt with containment failure.

Regulatory Guide 4.7 notes that the NRC staff has found that a minimum exclusion area distance of 0.4 miles (640 meters), even under adverse atmospheric relative dilution conditions, usually provides assurance that

engineered safety features can be designed so that the calculated doses would be within the guideline values of 10 CFR Part 100. This finding is based, however, upon the source term into containment given in Regulatory Guides 1.3 and 1.4, which is taken from TID-14844. Further, this distance is also based upon a relatively conservative evaluation of the efficacy of fission product removal by engineered safety features.

Using a more realistic evaluation of engineered safety features together with the revised source term into containment given in draft NUREG-1465, the staff believes that significantly smaller exclusion area distances could provide reasonable assurance that the calculated doses would be within the guideline values of 10 CFR Part 100. While a minimum distance has not been determined, it appears that distances of 0.25 miles (400 meters), or less could provide reasonable assurance that engineered safety features can be designed so that the calculated doses would be within the guideline values of 10 CFR Part 100.

Since the quantitative health objectives (QHOs) of the Safety Goal provide guidance on the individual risk of early fatality and risk of latent cancer fatality, the size of a proposed exclusion area can be evaluated with regard to the QHOs. A range of exclusion area distances (from 0.25 to 0.5 miles) has been investigated for plants with a reactor power level of 3800 megawatts (thermal) and having the risk characteristics of those studied in NUREG-1150. All of these distances were found to easily meet the early and latent fatality QHOs of the Safety Goal. In view of the expected frequency of core damage and containment failure of less than  $10^{-5}$  per reactor year, even for existing plants, such a plant would be able to satisfy the early fatality QHO with an exclusion area no larger than the minimum area required to site the major plant structures and buildings. Such an exclusion area is likely to be 0.1 miles or less in radius.

It is important to recognize that the QHOs of the Safety Goal provide guidance on individual risk only, not societal risk. For this reason, while the Safety Goal can be used to evaluate a proposed exclusion area distance, it provides no guidance with respect to population density or distribution beyond the exclusion area.

## II. POPULATION DENSITY CRITERIA

Restrictions on population density beyond the exclusion area have also been required since issuance of the rule in 1962. The current Part 100 requires a "low population zone" (LPZ) beyond the immediate exclusion area. The LPZ radius must be of such a size that an individual located at its outer radius must not receive a dose in excess of the values given in Part 100 over the course of the accident (currently evaluated as 30 days). While numerical values of population or population density are not specified for this region, the regulation also requires that the nearest boundary of a densely populated center of about 25,000 or more persons be located no closer than one and one-third times the LPZ outer radius. Part 100 has no population criteria other than the size of the LPZ and the proximity of the nearest population center, but notes that "where very large cities are involved, a greater distance may be necessary."

Whereas the exclusion area size is based upon limitation of individual risk, the imposition of population density requirements serves to set societal risk limitations. Further, since the radiological consequences of the limiting design basis accident are determined to be acceptable at the exclusion area boundary, limitation of population density beyond the exclusion area reflects consideration of societal risk as well. Accidents beyond the design basis were clearly a consideration in the original issuance of Part 100, since the Statement of Considerations notes as follows:

"Further, since accidents of greater potential hazard than those commonly postulated as representing an upper limit are conceivable, although highly improbable, it was considered desirable to provide for protection against excessive exposure doses to people in large centers, where effective protective measures might not be feasible... Hence, the population center distance was added as a site requirement."

Limitation of population density beyond the exclusion area has the following benefits:

- it facilitates emergency preparedness and planning;
- it reduces potential doses to large numbers of people in the event of severe accidents; and
- it reduces potential property damage in the event of severe accidents.

As noted above, since the Safety Goal provides guidance on individual risk only, it cannot be applied to determine whether a particular population density would meet the QHOs of the Safety Goal.

However, results of severe accident risk studies, particularly those obtained from NUREG-1150, provide useful insights for considering potential criteria for population density. Severe accidents having the highest consequences are those where core-melt together with early bypass of or containment failure occurs. Such an event would likely lead to a "large release" (without defining this precisely). Based upon NUREG-1150, the probability of a core-melt accident together with early containment failure or bypass for the current generation of LWRs is estimated to be between  $10^{-5}$  and  $10^{-6}$  per reactor year. For future plants, this value is expected to be less than  $10^{-6}$  per reactor year.

If a reactor were located within a large city, the likelihood of exposing a large number of people to significant releases of radioactivity would be the same as the probability of a core-melt and early containment failure, that is, less than  $10^{-6}$  per reactor year for future reactor designs. This probability is sufficiently low that arguments could be made that siting a reactor within a large city would pose no undue risk from safety considerations. It is worth noting that the staff, in licensing actions, has regarded events of about  $10^{-6}$  per reactor year or lower to be "incredible", and has not required them to be considered as part of the design basis of the plant.

If, however, the reactor were sited at some distance from the city, the likelihood of the city being affected is further reduced because of wind direction variability, the likelihood it would actually transport radioactive material towards the city is lower, and the inventory of the plume becomes depleted over time and distance. If the reactor were located at distances ranging from 10 to about 20-25 miles away from a city, depending upon its size, emergency planning is facilitated and the probability of exposure of large numbers of people within the city and possible contamination of major areas of the city would be reduced about one additional order of magnitude to less than  $10^{-7}$  per reactor year. A population density guideline of 500 persons per square mile, as given in Regulatory Guide 4.7, provides an effective "standoff" distance of about 10 miles for cities having a population of about 100,000 or more persons, and a "standoff" distance of about 20 miles for cities of about 500,000 or more persons.

Siting reactors even more remotely than 10 to about 20 miles away from population centers would further reduce the potential risk for persons within the city, but at a lower rate. For example, to reduce the risk to a city to less than  $10^{-8}$  per reactor year would require that reactors be sited at distances of about 50 or miles or more from cities. At these distances, site availability would be severely limited for many regions of the U.S.

In summary, next-generation reactors are expected to have risk characteristics sufficiently low that the safety of the public is reasonably assured by the reactor and plant design itself. Such a plant can satisfy the QHOs of the Safety Goal with a very small exclusion area distance (generally 0.1 miles or less). The consequences of design basis accidents, analyzed using revised source terms and with a realistic evaluation of engineered safety features, are likely to be found acceptable at distances of 0.25 miles or less. With regard to population density beyond the exclusion area, siting a reactor even within a densely populated city would pose a very low risk to the city from safety considerations. Hence, any population density restrictions on reactor siting should be viewed as a safety enhancement based upon defense-in-depth considerations, rather than as required to meet an adequate degree of safety. Locating reactors at distances ranging from 10 to about 20-25 miles away from population centers, where it is feasible to do so, can facilitate emergency planning and reduce the already low likelihood of exposure to large numbers of people by about an additional order of magnitude.

Since reactor sites must satisfy a number of criteria including water availability, environmental considerations and other land use restrictions, the staff believes that limitations on population density alone should not become so stringent as to preclude the use of otherwise suitable sites.

PROPOSED BASIC REACTOR SITING CRITERIA

Power reactor sites must meet the following basic safety criteria in order to be acceptable:

- site atmospheric dispersion characteristics must be evaluated and plant interface criteria established such that:
  - (a) radiological effluent release limits associated with normal operation must be met for any individual located offsite; and,
  - (b) radiological consequences of postulated accidents must be acceptable for an individual located at any point of the exclusion area boundary for a specified time;
- physical characteristics of the site, including meteorology, geology, seismology and hydrology must be evaluated and plant interface criteria established such that potential threats from such physical characteristics will pose no undue risk to the plant;
- potential hazards associated with nearby transportation routes, industrial and military facilities must be evaluated and plant interface criteria established such that potential hazards from such routes and facilities will pose no undue risk to the plant;
- site characteristics must be such that adequate security plans and measures can be developed;
- site characteristics must be such that adequate plans to take protective measures for members of the public in the event of emergency can be developed; and
- the reactor site must be located away from densely populated centers.