

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Regulatory Policies and Practices

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, June 9, 2015

Work Order No.: NRC-1640

Pages 1-136

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

UNITED STATES OF AMERICA
 NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

REGULATORY POLICIES AND PRACTICES SUBCOMMITTEE

+ + + + +

TUESDAY

JUNE 9, 2015

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
 Regulatory Commission, Two White Flint North, Room
 T2B3, 11545 Rockville Pike, at 8:30 a.m., Dana A.
 Powers, Chairman, presiding.

COMMITTEE MEMBERS:

DANA A. POWERS, Chairman

HAROLD B. RAY, Member

DENNIS C. BLEY, Member

MICHAEL T. RYAN, Member

GORDON R. SKILLMAN, Member

DESIGNATED FEDERAL OFFICIAL:

QUYNH NGUYEN

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

ALSO PRESENT:

CHRISTOPHER BENDER, Taylor Engineering

DANIEL BLOUNT, PSEG

NELSON BRETON, PSEG

ANDY CAMPBELL, NRO

PROSANTA CHOWDHURY, NRO

STEPHEN CRISCENTO, PSEG

KEN ERWIN, NRO

JOSEPH GIACINTO, NRO

DAVID HARRIS, PSEG

PAUL JENSEN, PSEG

HENRY JONES, NRO

ANDREA KEIM, NRO

JAIME MELLON, PSEG

DAVENDRA PIMPALE, NRO

MEHRDAD SALEHI, PSEG

ALDO RIVERA, NRO

DAVE ROBILLARD, PSEG

GARY RUF, PSEG

MICHAEL SALISBURY, PSEG

MICHAEL SHERVIN, PSEG

MICHAEL WIWEL, PSEG

GEORGE WUNDER, NRO

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

T-A-B-L-E O-F C-O-N-T-E-N-T-S

	<u>Page</u>
1. Opening Remarks.....	4
2. Staff Introduction, Schedule Milestones, and Status of Safety Evaluation (SE).....	6
3. Applicant Introduction and Presentation on Site Safety Analysis Report (SSAR), Chapter 2, Section 2.4, "Hydrologic Engineering".....	12
5. Staff Presentation on SE, Chapter, Section 2.4, "Hydrologic Engineering".....	47
6. Summary of Safety Evaluations.....	68
7. Committee Discussion.....	76

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:29 a.m.)

CHAIRMAN POWERS: Let's come into session here. This is a meeting of the Regulatory Policies and Practice Subcommittee, and Advisory Committee on Reactor Safeguards. I'm Dana Powers, Chairman of the Subcommittee. The ACRS Members in attendance today include Dick Skillman, Mike Ryan, myself, Dennis Bley may join us as his Vice Chairman duties permit.

As announced in the Federal Register on May 22, 2015, the subject of today's briefing is a review of hydrologic engineering of the safety evaluation report associated with the early site permit application for the PSEG site. This is the third, and we certainly hope the final, Subcommittee briefing on this particular application.

The rules for participation in today's meeting were also announced in the Federal Register Notice. We do have a bridge line, I'm told, for the public and stakeholders to hear the deliberations. This line will not carry any signal from this end. I need to tell who you are. You want to introduce yourself?

MR. NGUYEN: Go ahead.

CHAIRMAN POWERS: Mr. Quynh Nguyen is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 designated federal official for this meeting and he
2 will ably assist me as required, right?

3 MR. NGUYEN: Right.

4 CHAIRMAN POWERS: Okay. Well, there's a
5 lot of stuff about the fact that we have a phone line
6 here. Also, to minimize disturbance, the line will be
7 kept on the listen-in-only mode until the end of the
8 meeting when ten minutes are allocated for public
9 comments. At that time, any member of the public
10 attending this meeting in-person or through the bridge
11 line can make a statement or provide comments if they
12 so desire.

13 As the meeting is being transcribed, I
14 request the participants in the meeting use the
15 microphones located throughout this room when
16 addressing the Subcommittee, and certainly, do not
17 follow my poor example of you need to tap your thing
18 to get it to activate and you need to tap it again to
19 get it to deactivate so the young lady sitting to my
20 left can hear us.

21 If she doesn't hear us, she gets to write
22 what you said, and she's vindictive, I'm told.
23 Participation in all cases, first, identify themselves
24 and speak with sufficient clarity and volume so that
25 they can be readily heard. I'm cautioned to please

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 silence all cellphones. We have a special room for
2 those people that don't do that. It is unpleasant, I'm
3 told.

4 We will now proceed with the meeting and
5 I guess we'll start the meeting off with an introductory
6 and overview status report from Prosanta.

7 MR. CHOWDHURY: Right.

8 CHAIRMAN POWERS: The floor is yours, sir.

9 MR. CHOWDHURY: Okay. Good morning,
10 Chairman, and good morning, Committee Members, and --

11 CHAIRMAN POWERS: See, I give you
12 instructions.

13 MR. CHOWDHURY: It's now turned on. I'll
14 repeat what I said. Good morning, Mr. Chairman and
15 Members of the ACRS Subcommittee, and good morning all
16 present this morning at this ACRS Subcommittee meeting
17 on PSEG site, early site, permit hydrologic engineering
18 review by the NRC staff.

19 My name is Prosanta Chowdhury. I'm the
20 lead project manager for this project and I have been
21 involved with this project since May 2010, when the
22 application was tendered. As for my background, I was
23 a state government employee in Louisiana at the
24 Department of Environmental Quality and Radiation
25 Protection for 18 years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then I moved to the NRC in 2005, so I
2 have been at the NRC a little over ten years now, and
3 as far as the project manager position goes, I moved
4 from the Security and Instant Response Office to Office
5 of New Reactors in 2008. Since then, I have been
6 project manager, so it has been almost seven years as
7 a project manager.

8 I have a Master's Degree in Electrical
9 Engineering from Moscow, Russia, and I have a Master's
10 Degree in Nuclear Engineering from Louisiana State
11 University. And I have been managing this project
12 since May 2010 and the project, when we came to today's
13 meeting, which is the last Subcommittee meeting on the
14 last piece of the application, so I'm going down to the
15 next slide.

16 The purpose of today's meeting is to brief
17 the Subcommittee on the status of the staff safety
18 review and also support the Subcommittee's review of
19 the application and subsequent letter from the ACRS to
20 the Commission, and address the Subcommittee's
21 questions.

22 On this agenda, on my part of the agenda,
23 I have the introduction, schedule milestone, status of
24 safety evaluations, and today's key review area is
25 hydrologic engineering. Okay. I'm being helped

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here. Just bear with me. Thank you so much. And then
2 we will present the advanced safety evaluation with
3 open items conclusions presentation, conclusions, and
4 I will briefly go over and recap what has been completed
5 by the staff and also what has been presented so far
6 to the Subcommittee, and then any discussions and
7 questions thereafter.

8 So the Applicants, once again, are PSEG
9 Power, LLC, and PSEG Nuclear, LLC. The Applicants'
10 proposed ESP site is located in Lower Alloways Creek
11 Township, Salem County, New Jersey, 30 miles southwest
12 of Philadelphia, Pennsylvania, and 7-1/2 miles
13 southwest of Salem, New Jersey.

14 It's located on the upper Delaware Bay
15 adjacent to and north to the Hope Creek Generating
16 Station. The two-unit Salem Generating Station is
17 co-located on this site to the south of Hope Creek
18 Station. PSEG, just to refresh everybody's memory,
19 PSEG developed Plant Parameter Envelope using one-unit
20 U.S. EPR, one-unit ABWR, and one-unit U.S. APWR, and
21 two-unit passive AP1000 technologies.

22 PSEG requests permit approval, early site
23 permit approval, for a 20-year term. Does not seek a
24 limited work authorization approval for activities,
25 and then seeks approval for complete and integrated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emergency plans with ITAAC as part of ESP.

2 So the milestones that have been completed
3 so far is, the application we received on 25th of May
4 2010, acceptance review completed, and the application
5 docketed on 4th of August 2010. We issued a schedule
6 and completed Phase A, which is all REIs to be issued
7 in September of 2013. This is a four-phase schedule
8 and Phase B is advanced safety evaluations with no open
9 items to be issued by end of June 2015, that was the
10 public milestone, and we achieved that 45 days in
11 advance.

12 And I must thank to all technical staff and
13 technical branches for that achievement. Chapters
14 presented to ACRS on March 19, 2014. As Dr. Powers
15 mentioned, there have been two Subcommittee meetings
16 already, so first one on March 19, 2014, we presented
17 Chapters 3.5.1.6, has to do with aircraft hazards, 11.2
18 and 11.3 combined, 13.3, 15.0.3, and 17.5.

19 Chapters presented to ACRS on September 29
20 and 30, 2014 is 2.1 and 2.2 combined, and 2.3, and 2.5.
21 Now, one thing I would like to mention here is that,
22 we recently issued, publicly, Chapter 20, which has to
23 do with the implementation of the Fukushima
24 recommendations. And this Chapter 20, for the PSEG
25 early site permit, simply points to other safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 evaluations where applicable, Fukushima NTTF,
2 Near-Term Task Force recommendations, are evaluated.

3 Chapter 20 does not contain the staff's
4 evaluation as such, because the staff evaluation for
5 the only recommendation, which is 9.3, has to do with
6 emergency planning, staffing, and communications, has
7 been addressed in the ASE, and then the seismic and
8 flood hazard related to the recommendation 2.1 have
9 been already addressed in the respective SE chapters,
10 so the Chapter 20 points to those areas.

11 There are no surprised in Chapter 20, by
12 the way. It has a long background and regulatory
13 basis. So the remaining milestones, Chapter 2.4,
14 hydrologic engineering, which is being presented
15 today, and then the ACRS Full Committee meeting, it was
16 a challenge for me, I took it, and I think we will be
17 ready tomorrow at 8:30, and the conclusion of ACRS
18 meetings, as well as ACRS letter, Phase C will be
19 completed, and the public milestone is July 31, 2015.

20 And then the Final Safety Evaluation
21 Report, FSER, completion date is September 30, 2015,
22 which is Phase D, the last phase of this review before
23 hearing. Just to --

24 CHAIRMAN POWERS: I hasten to point out
25 that it will be up to the ACRS Full Committee itself

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to decide whether a letter is -- the Subcommittee only
2 collects information and makes hints and
3 recommendations to them. They make the decision.
4 Okay. Well-known to be pig-headed and hard to get
5 along with.

6 MR. CHOWDHURY: Understand. Just to
7 remind everybody once again that, the staff had a
8 pre-application site visit in 2008, January 2008,
9 another PM was involved at that time. We had emergency
10 planning site visit. Folks actually went around the
11 site, looked at all the elements that pertain to
12 emergency planning and preparedness. That was May of
13 2010.

14 Hydrologic engineering site visit and
15 audit was in 2011, February of 2011, that was an
16 elaborate site visit and audit. Quality assurance
17 audit was done in May -- end of May, early June of 2011.
18 Geology site visit and audit was done in September of
19 2011, and that was quite an adventure because of the
20 rain the night before, but we took it and we made
21 through.

22 And there's a meteorology site visit in May
23 of 2012. Seismic software audit was done in September
24 of 2013. This is a list of acronyms for the record and
25 with that, are there any questions on the introductory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remarks? Okay. If none, then I think by the agenda,
2 PSEG is going to --

3 CHAIRMAN POWERS: Yes, we'll now turn to
4 a presentation from PSEG. The staff will come back
5 later this morning to discuss their view on the material
6 that's presented. And so, Jaime, I think you're on.

7 MR. MELLON: Okay. My name's Jaime
8 Mellon. I have over 30 years of experience in the
9 nuclear power industry. I've worked in licensing, reg
10 assurance, training, and radiation protection. I've
11 worked at operating reactors, decommissioning
12 reactors, and also in the construction of some
13 facilities.

14 I have a Bachelor's Degree in Physics from
15 Franklin and Marshall College in Lancaster, PA, and I
16 have a SRO Cert from Peach Bottom. And with that, we're
17 going to get started and I will -- okay. Going to move
18 down here and hit Page Down? There we go. Is that the
19 mouse? There it is. And I'd like to introduce Dan
20 Blount. Dan has over 12 years of experience in the
21 nuclear power industry, design engineering,
22 engineering support of regulatory and licensing
23 actions.

24 His design engineering experience
25 includes major mods to both primary and secondary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 portions of the power plants. Dan is a qualified 5059
2 evaluator at our nuclear facilities, PSEG's
3 facilities. He has a Bachelor of Science Degree in
4 Mechanical Engineering from York College of PA, and is
5 a registered PE in the State of Delaware.

6 MR. BLOUNT: All right. Good morning,
7 everyone. Thank you, Jaime. Today our presentation
8 will be divided into three areas. We're going to go
9 over a general hydrological background and talk about
10 some of the smaller floods that we evaluated, then we'll
11 move to discuss our design basis flood, which is the
12 problem, maximum hurricane, for this site, and finally,
13 we'll talk about our ground water analyses and
14 accidental releases analyses.

15 This slide lists the regulatory guidance
16 that we used in developing the early site permit
17 application. Reg Guide 159 was used to establish the
18 floods considered for the design basis flood. NUREG
19 CR 7046 was issued after the early site permit
20 application was submitted, however, that captures much
21 of the ANC 2.8 guidance that we used in our application
22 related to combined events that we'll discuss later.

23 This slide presents the PSEG site and its
24 location within the Delaware River Basin. This site
25 is located about 52 miles upstream of the mouth of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bay. I'll try to, I don't know if the mouse is -- there
2 we go.

3 MR. MELLON: So there's the mouth of the
4 bay, right?

5 MR. BLOUNT: The site is the pink dot
6 there. Seven miles north of this site is the Reedy
7 Point NOAA Tidal Gauge, and that is the closest tidal
8 gauge to the site, and the gauge we used for a lot of
9 our data at the site location.

10 This slide depicts a picture of the current
11 site. We have Salem Unit 1 and 2 in the foreground,
12 Hope Creek to the north, and then further to the north
13 there is our location for the new plant, just to the,
14 excuse me, west of the cooling tower, north of Hope
15 Creek. This slide is effectively looking northwest
16 across the site.

17 The river at the site is about two and a
18 half miles wide. Next slide. All right. In this
19 slide we show the actual, the reaches of the Delaware
20 River Basin itself. It goes from the Catskill
21 Mountains in New York to the north, and all the way
22 drains to the Atlantic Ocean in the south.

23 The site's located at the transition zone
24 between the Delaware Bay and the Delaware River. The
25 tidal flows at the site greatly dominate the freshwater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flows. And the river's actually tidally influenced
2 all the way up to Trenton, New Jersey. There are no
3 dams on the main branch of the Delaware River. The
4 reservoirs that you see on this slide are all on
5 tributaries that feed the Delaware River.

6 Next slide. Historically, storm surge
7 events have dominated the flood causing mechanisms and
8 in the vicinity of the site, the hurricane of 1933
9 produced the highest recorded water level at Reedy
10 Point, which is our closest tidal gauge. The design
11 basis flood determination is made by obtaining a number
12 of different flood-causing mechanisms, which we've
13 listed on this slide, and also, the applicable combined
14 events criteria associated with these events that we'll
15 talk about as we go through the various floods.

16 First off, we have the local intense
17 precipitation event, which is local just to PSEG's site
18 itself. We used NOAA's hydrometeorological reports
19 number 51 and 52 to develop the rainfall intensities
20 over a one-square-mile area at varying durations.
21 We've built an Army Corps HEC-HMS Model and divided the
22 site up into subbasins to determine the peak flow rates
23 between the various subbasins in the model.

24 At the ESP stage, that's, effectively, as
25 far as we can take the analyses because we don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a finalized site grading plan with a final site
2 technology selected, so this analysis will be revisited
3 at the COLA stage to assure and refine that the local
4 intense precipitation flooding does not impact
5 safety-related structures.

6 MEMBER RAY: Do you do these calcs into the
7 probable maximum or do you get the Corps to do this for
8 you?

9 MR. BLOUNT: For these analyses, we used
10 a NOAA HMR 51 and 52 are the publications that are
11 regionalized and show you per a certain amount of area
12 what the rainfall intensity is over a certain duration,
13 so it's from an existing analysis.

14 MEMBER RAY: Okay.

15 MR. BLOUNT: Yes. Section 2.4.3 of the
16 SAR is the first of the river floods we'll discuss here.
17 For all of the river floods within the Delaware River
18 Basin, we developed a U.S. Army Corps HEC-HMS and
19 HEC-RAS model system that supported our analyses for
20 the rivering environment. The model was validated
21 against historical events and also the tidal aspects
22 that are seen continuously at the site.

23 We used, once again, NOAA HMR 51 to
24 establish our two possible probable maximum
25 precipitation events. One is a larger lower intensity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 event that's centered over Doylestown, Pennsylvania,
2 and the second is a smaller higher intensity event
3 that's centered over Philadelphia.

4 We simulated those events in our model,
5 combined that with the ANS 2.8 combined events
6 criteria, and ultimately, arrived at a total water
7 surface elevation of 21 feet NAVD at the PSEG site. The
8 water surface elevation from the PMP, the probable
9 maximum precipitation, event itself was actually less
10 than three feet at the site. So the significant
11 drivers are the combined events.

12 Section 2.4.4 of the SAR discussed
13 potential dam failures. Our first step in this
14 analysis was to screen the U.S. Army Corps national
15 inventory of dams. We identified four 6000-acre-foot
16 reservoirs near the site within a 70-mile vicinity of
17 the site, and we also identified seven greater than
18 60,000-acre-foot reservoirs, really, in the upper
19 Delaware River Basin, in the Catskill Mountains and the
20 Pocono Mountains of Pennsylvania.

21 With those reservoirs identified, we
22 develop four scenarios where we combined the dams
23 regionally in those various areas, and then assumed a
24 seismic event would instantaneously break the dams,
25 release the reservoirs contents to the main branch of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 the Delaware River at exactly the same time to maximize
2 the potential flooding at the site.

3 The failure of the two largest reservoirs
4 in the Catskills produced the highest water surface
5 elevation. You can see here is only 3/10 of a foot from
6 the dam -- or the reservoir inventory versus the
7 combined events value of 9.4 feet.

8 MEMBER RAY: Just a question.

9 MR. BLOUNT: Sure.

10 MEMBER RAY: That's not something to write
11 home about, but you said if they all fail
12 simultaneously, that's the highest water? I would
13 have thought a cascading effect would have led to a
14 higher water level.

15 MR. BLOUNT: Probably should have
16 mentioned that. There are no cascading dams within the
17 Delaware Water Basin.

18 MEMBER RAY: Okay. So these are all --

19 MR. BLOUNT: Yes. So they're all on
20 different branches and then they merge together, and
21 we timed them, kind of, artificially, actually timed
22 them burst together.

23 MEMBER RAY: So they all come together.
24 Okay.

25 MR. BLOUNT: Yes. Section 2.4.6

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed the probable maximum tsunami analysis. Our
2 analysis followed the guidance of NUREG CR 6966.
3 First, we reviewed the historical record of the
4 tsunamis affecting the East Coast to establish our
5 source characteristics for modeling the probable
6 maximum tsunami. We next used NOAA's MOST model to
7 simulate the PMT event and how it impacted the site
8 through the Delaware Bay to our site location.

9 Next slide. The La Palma event in the
10 eastern Atlantic Ocean and the Hispaniola trench
11 subduction event in the Carribean Sea were both
12 modeled. Neither of these events represent the
13 probable maximum tsunami at the site. The results were
14 approximately half of a foot of elevation change in the
15 water level, drawdown and runup, so very minor impacts
16 at the site from these two events.

17 MEMBER SKILLMAN: Dan, before you change
18 that slide, the text of the safety evaluation, 124
19 pages, indicate that at least early calcs showed a wall
20 of water of about 88 feet from La Palma.

21 MR. BLOUNT: The --

22 MEMBER SKILLMAN: Okay. And you just
23 mentioned a very minor effect on the bay. Speak to that
24 in terms of reconciling that difference.

25 MR. BLOUNT: The 88 feet of water, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe, is in Europe, so the effects of the tsunami
2 as it went to the East and into Europe versus the effects
3 of the tsunami as it propagated to the West, towards
4 the Atlantic, or our East Coast of the United States,
5 the value -- I apologize. I don't have that here.
6 I'll have to get that for you, but I believe we had
7 presented that in our SAR. I can't speak specifically
8 to the SER text. I apologize.

9 MEMBER SKILLMAN: I read it very
10 carefully.

11 MR. BLOUNT: Okay.

12 MEMBER SKILLMAN: I think you will find
13 that the text essentially says, some predictions could
14 be as great as 88 feet at the site. Now, if you've
15 sailed across the Atlantic a number of times you know
16 she's a wide ocean and it's hard to believe that if there
17 were that event in the Canary Islands that 88 feet could
18 find its way 2500 miles to the West, and if it did, I
19 would think what happens at Salem Hope Creek site may
20 pale compared to what is happening elsewhere on the East
21 Coast. That's a different issue.

22 But I think you need to take a look at the
23 way the text is presented in the safety evaluation
24 because it's quite clear that early calcs showed 88 feet
25 arriving at the site, then there are some words in there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that indicate later calculations suggest it's a
2 fraction of a meter, which is approximately what you
3 just mentioned.

4 MR. BLOUNT: We'll certainly take a look
5 at that, yes.

6 MEMBER SKILLMAN: Thank you.

7 MEMBER RAY: I've seen other calculations
8 of La Palma that generate very high water on the East
9 Coast. I can't remember the details, but I think,
10 somehow, they left out the effects of superposition on
11 that with the multiple waves canceling out each other,
12 but there might be a hint there if you dig at it.

13 MR. BLOUNT: We'll take a look. Okay.
14 In the SAR analysis, the Currituck landslide event
15 ultimately represented our probable maximum tsunami
16 event. The runup and drawdown without considering the
17 tidal effects was just slightly over one-foot elevation
18 at the site. With tide, as you can see there, it's
19 approximately six-feet positive and negative NAVD.

20 2.4.7 of the SAR discussed ice effects and
21 to evaluate ice effects, we reviewed the historical ice
22 jam data and actually found no ice jams downstream of
23 Trenton, so no ice jams in the tidal portions of the
24 Delaware River. To simulate a flood from an ice jam,
25 we took a historical 1904 event at Trenton, modeled that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in our HEC-HMS, HEC-RAS software, combined that with
2 the effects of tide, the spring river flood, and then
3 waves to establish 8.1 feet NAVD.

4 A new intake structure at the site will be
5 designed to address both surface and frazil ice, as both
6 are possible at the PSEG site.

7 MEMBER BLEY: Have you ever had frazil ice
8 there?

9 MR. BLOUNT: Yes.

10 MEMBER BLEY: You have.

11 MR. BLOUNT: Yes.

12 MEMBER BLEY: Did it affect any of the
13 cooling systems?

14 MR. BLOUNT: It caused some blockages on
15 the circulating water intake structure, so the
16 non-safety-related streams for --

17 (Simultaneous speaking)

18 MR. BLOUNT: Yes, it's kind of like grass
19 or something that builds up.

20 MEMBER BLEY: I've seen it further north.
21 I didn't realize we got it down in this area.

22 MR. BLOUNT: It's certainly not common,
23 but it has happened once or twice. Section 2.4.8
24 discusses cooling water canals and reservoirs, which
25 are actually features that we do not have at the PSEG

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site, so it's not really applicable. 2.4.9 goes into
2 channel diversions.

3 As we saw on the picture previously, the
4 site is a very flat, very open area. There's no recent
5 historical evidence of the Delaware River or bay
6 changing course in any significant manner to either
7 cause a lack of cooling water to the site or cause a
8 flooding condition on the site, so there's really no
9 seismic or severe weather event that might cause those
10 types of issues.

11 Section 2.4.11 was low water
12 considerations and there were three primary events we
13 considered for low water. First is low flow conditions
14 in the Delaware River, second, we've already discussed,
15 was the drawdown from tsunami events, and third was
16 drawdown from a severe windstorm, which, in our case,
17 is a hurricane event.

18 The negative surge from the hurricane
19 could produce drawdowns as low as -15.9 feet NAVD when
20 we consider the combined effects of a very low tide as
21 well. A safety-related intake structure will be
22 designed such that the low water does not cause any
23 operational problems for the plant.

24 MEMBER SKILLMAN: Explain that last
25 phrase that you communicated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLOUNT: So the lower invert of the
2 intake structure would be set such that the pumps would
3 have sufficient NPSH to, basically, continue pumping
4 water through the duration of a low-water event if one
5 were to occur.

6 MEMBER SKILLMAN: What would that
7 duration be?

8 MR. BLOUNT: We've estimated
9 approximately six hours and that is related, of course,
10 to the tidal cycle at the site, combined with the
11 hurricane passing by.

12 MEMBER SKILLMAN: Okay. Thank you.

13 MR. MELLON: And with that, I'm going to
14 ask Mike Salisbury to come up and he's going to talk
15 to us about the probable maximum hurricane storm surge.
16 And, Mike, your cord is right there. So Mike has served
17 as the project manager and lead modeler for a number
18 of tide and storm surge modeling related projects
19 throughout the United States and abroad.

20 He has over ten years of experience working
21 on coastal related projects, including expertise in
22 developing storm surge models for risk assessment,
23 floodplain mapping, and long-term climatology studies.
24 He's published several peer-reviewed articles
25 detailing the development and validation of various

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numerical models, and is chair of the Coastal and
2 Estuarian Hydrosociences Committee for the Coasts,
3 Oceans, Ports, and Rivers Institute of the American
4 Society of Civil Engineers.

5 Mike has his Bachelor's and Master's
6 Degree in Civil Engineering from the University of
7 Central Florida and is a PE in the State of Florida.

8 MR. SALISBURY: Thank you, Jaime. Good
9 morning, Committee Members. Thank you for taking the
10 time for this presentation today. So for probable
11 maximum surge, the basis methodology that we used is
12 the probable maximum hurricane and it's based off of
13 the NWS 23 technical publication. And the root of this
14 methodology is it looks at various combinations of the
15 important parameters necessary for hurricane formation
16 and propagation.

17 With that, and so some of these important
18 parameters are central pressure, radius of maximum
19 winds, forward speed, et cetera. Using the
20 information in this technical document, we performed
21 a storm surge screening assessment and what this
22 assessment did is it looked at the different
23 combinations. You know, some of the parameters gave
24 a range of possible possibilities, such as forward
25 speed, radius of maximum winds, so what we wanted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do is look at all possible reasonable combinations of
2 these parameters using a screening methodology, and
3 that screening methodology is use the Bodine storm
4 surge model to bring the surge from the open deep water
5 ocean to the open coast at the mouth of the Delaware
6 Bay.

7 From the mouth of the Delaware Bay, we
8 relied on the HEC-RAS model that was developed for
9 Delaware Bay, Delaware River to propagate the surge
10 from the mouth of the Delaware Bay up to the site. With
11 that, it was also superimposed on top of that is wind
12 setup from the Kamphius wind setup methodology, and
13 then lastly, getting local to the site, wave runup was
14 calculated based on these conditions using Coastal
15 Engineering Manual methodologies.

16 Using that screening assessment, like I
17 said, we looked at a number of different combinations
18 and arrived at the peak water surface elevation at site
19 resulting from a storm that had a radius of maximum
20 winds of 28 nautical miles, and a forward speed of 26
21 knots. And this resulted in a total water surface
22 elevation of the site of 42.4 feet.

23 Now, just to give you a frame of reference
24 for this probable maximum hurricane event, it had a
25 central pressure of 902 millibars. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approximately a strong Category 4 storm, on the
2 Saffir-Simpson scale, and further with that, along New
3 Jersey, they've only ever had a Category 1 storm make
4 direct landfall, so to give you a frame of reference
5 of how intense and big of a storm this is that we're
6 dealing with.

7 MEMBER SKILLMAN: Let me challenge you
8 there, Michael, why would we find any comfort that the
9 greatest storm has been a Cat 1 when you say the design
10 envelope is a Cat 4? Why shouldn't we think, one of
11 these days there might be a Cat 4 that comes that far
12 north?

13 MR. SALISBURY: Well, to the point I
14 think, you know, that that's why we're wanting to look
15 at a storm of this magnitude, you know, there is some
16 literature out there that suggests the sea surface
17 temperatures in the mid-Atlantic region of the ocean
18 won't allow a storm to get that intense or that strong
19 in this area, but, you know, to be conservative, you
20 know, we decided since it's possible, according to that
21 technical literature for an NWS 23 method, that a storm
22 could be this intense.

23 MR. MELLON: So this is a deterministic
24 model and we're plugging it into the NWS 23 methodology,
25 and we're just following it, even though reality looks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very different. So we're accepting that conservatism,
2 especially post-Fukushima, it's appropriate to
3 overdesign in this area because the impacts would be
4 significant of a flooding event, so we'll get into what
5 site grade is, and as we go, how we use the screening
6 to perform a more refined two-dimensional model,
7 because HEC-RAS is a one-dimensional model, and it is
8 overly conservative when modeling what happens in the
9 Delaware Bay.

10 MEMBER SKILLMAN: Let me ask this, for a
11 storm that's not a Cat 4, it's a Cat 2, he said the worst
12 appears to have been a Cat 1, for a Cat 2 or Cat 3 that's
13 sitting either due east with that anti-cyclic rotation,
14 or particularly, sitting to the southeast, where the
15 northern cusp would drive up the bay, what is the
16 approximate variation in the water level for those
17 scenarios; for a slightly higher than a Cat 1, not a
18 Cat 4, but the center of the storm, the eye of the storm,
19 is sitting at that location that causes the site to be
20 most vulnerable?

21 MR. SALISBURY: I guess, let me answer
22 that in two parts. One, that scenario you're talking
23 about, the orientation, is exactly what the orientation
24 we're modeling in this probable maximum hurricane
25 analysis. The second part is to your question of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relativity of Category 2 or 3, et cetera, we -- I don't
2 have those numbers on me, I'd have to get back to you
3 on that.

4 MR. MELLON: So to the path of the storm,
5 we took a storm out in the open ocean, starts a parallel
6 to the bay path to the south, and it makes landfall,
7 roughly, Ocean City, Maryland, to drive the water up
8 the bay, so again, deterministic, this path is chosen
9 to maximize that storm surge at the site.

10 A 2 or a 1 would be less water and so we
11 will raise the site grade to be above the flood height,
12 but it would be less water, even if it was on that same
13 path.

14 MEMBER BLEY: And you overlaid the high
15 tide.

16 MR. SALISBURY: Yes. Sorry, some of
17 these details are coming up in other slides, but if all
18 other parameters are the same, according to scientific
19 literature, from that point, it's just a ratio of
20 central pressure difference. You can scale the surge
21 almost directly associated with that correlation. So
22 it would be less, but I can't speak to what that exact
23 number is right now. I'd have to look that up.

24 MEMBER SKILLMAN: Off the top of your
25 head, what did Sandy do to the site?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SALISBURY: Sandy, at the site,
2 produced a water level of 7.7 feet NAVD. And, you know,
3 some of that had to do with it was occurring on a
4 downward timing with the tide when it reached the site,
5 but when it got to the site, it was, I want to say --
6 was it still a Cat 1 or wasn't it a Category 1 at that
7 point?

8 MR. MELLON: It wasn't even Cat 1. It
9 dropped out of Cat 1 before it made landfall. Sandy
10 made landfall north of Atlantic City. It did not --
11 there was no flooding on site. The existing site grade
12 is about 10 to 12 feet NAVD, so we did see higher water
13 levels. Most significant was the wave action at the
14 circ water, the non-safety-related intake structure
15 for Salem, which caused them to have to trip the unit.
16 One unit was in a refuel outage. The other unit tripped
17 and Hope Creek remained online through Sandy.

18 MEMBER SKILLMAN: Okay. And a trick
19 question, I don't know if anybody will remember it, I
20 certainly do, Camille, 1969, walloped the East Coast.
21 I mean, really, really pummeled the East Coast. Any
22 history or any information? It doesn't show up on your
23 data.

24 MR. SALISBURY: We looked at the whole
25 record at every tide gauge in Delaware Bay, not the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Delaware River, and looked at all the historical water
2 levels and --

3 MEMBER SKILLMAN: That one didn't show up?

4 MR. MELLON: Wasn't Camille a rain event,
5 basically, in the Susquehanna River Basin?

6 MEMBER SKILLMAN: Well, it moved off to
7 the east because I was stuck in Newark on an airplane
8 and I remember it was one of the baddest days I've ever
9 had in an airplane. All you can see was elbows and
10 rearends with people getting off that plane. I will
11 tell you, it was deadly. It was really bad.

12 MR. SALISBURY: Yes, like I said, we did
13 look at all the historical water level data that was
14 available in the Delaware Bay region. The exact number
15 for that time period, I don't recall off the top of my
16 head.

17 MEMBER SKILLMAN: Fair enough. That was
18 a trick question. I didn't expect any answer.

19 MEMBER BLEY: And if I remember right,
20 that's the one that really hit Wilkes-Barre, and then
21 got even up into Elmira, New York. It was a tremendous
22 rain.

23 MR. MELLON: I remember the Governor's
24 Mansion in Harrisburg flooded and was not habitable for
25 years. They didn't open it back up for, you know, five,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 six years.

2 MEMBER SKILLMAN: Thank you.

3 MR. SALISBURY: So like I said, the first
4 step that was presented on the previous slide was the
5 screening methodology. Once we arrived at the
6 conditions that produced the peak surge at the site,
7 we moved to a two-dimensional model, storm surge model,
8 and with that, it's widely regarded in technical
9 literature that two-dimensional models are much more
10 accurate for these types of simulations.

11 They much better describe the nuances of
12 the bathymetry and topography in the area, the
13 two-dimensional structure of the wind fields of the
14 hurricane event, so because we organized that, we were
15 able to get the recently completed ADCIRC and SWAN model
16 that was developed for FEMA Region III, they're coastal
17 flood study updates that they have done in the last few
18 years.

19 This mesh, ADCIRC mesh, has about 1.8
20 million computational nodes, so each vertex of the
21 triangles on that image you see is a computational point
22 of interest. The advantage of these large-scale
23 models such as this is it better describes propagation
24 of the surge when it's out in the deep ocean, Western
25 North Atlantic Region, propagates up onto the shelf,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then into the coastal flood plain, and spreads out
2 in the coastal flood plain.

3 It provides a much more accurate and
4 realistic assessment of that surge flooding in a
5 spatial two-dimensional sense.

6 MEMBER BLEY: Just to help me understand
7 that, if you'll draw a distinction between accuracy and
8 precision for me, I can see you getting very precise
9 with this type of model, but when you compare it
10 against, have you run it against historical or have you
11 read reports of running it against historical storms
12 and it more accurately portrays the kinds of things
13 we're interested in?

14 MR. SALISBURY: Yes, so on the validation
15 side, there's actually two fronts. One was done before
16 we obtained the model. It was thoroughly validated by
17 FEMA. They looked at a number, I want to say it was
18 three or four historical events, Isabel, they looked
19 at nor'easters, Nor'easter Ida was one of them, and they
20 compared that to historical water level data to
21 validate it.

22 MR. MELLON: Those three were for the
23 Delaware Bay, as opposed to other hurricanes that FEMA
24 validated this model against across the Eastern U.S.

25 MR. SALISBURY: Correct. And then once

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we got it and refined it locally, which, I'm going to
2 get to that refinement here in a little bit, we also
3 then re-validated it to make sure we're still comparing
4 well to historical tide gauge records. And I forget
5 what the delta is, but on the order of, you know, 1/10
6 or two of a foot, I think, is the difference between
7 model results and measured data.

8 And so, you know, what this is modeling,
9 this coupled system, it's modeling a storm surge
10 coupled with -- storm surge, which is the ADCIRC model,
11 which simulates tides and storm surge, or can simulate
12 tides, then it's coupled with SWAN, which is a wave
13 model, so as it's going through the simulation, those
14 two processes are intertwined with each other, you
15 know, wave model simulates the waves, communicates that
16 information back to the surge model, surge model
17 calculates the water levels and currents, and feeds
18 that back to the wave model.

19 And what that does is it, like I said,
20 further represents reality in the physics involved with
21 the surge flow around the site.

22 So as I alluded to before, once we obtained
23 this storm surge model from FEMA, we recognized that
24 it wasn't quite as resolved around the site as we'd
25 like. There were site-specific features that weren't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 represented in the FEMA data that were pertinent to
2 really locally describing the flow around the site.

3 So some of these features are things like
4 sea walls, you know, sheet pile sea walls. At a few
5 locations, there's berms along the site, and, you know,
6 just to the south of the image you see here on the screen
7 there's a line of sunken barges to act as breakwater
8 for incoming waves. And, you know, so taking that
9 understanding, coupling it with the latest data sources
10 we had available, such LIDAR, but, you know, even as
11 accurate as LIDAR is, it doesn't pick up things like,
12 you know, sheet pile sea walls, so we also relied on
13 as-built construction drawings to supplement those
14 site-specific information.

15 With that, we also refined the resolution
16 of the node spacing in the area. In the FEMA Region
17 III mesh, node spacing was on the order of 75 to 100
18 meters in the area, with this refinement, we went down
19 to 30 to 50-meter resolution in the area to really
20 describe the flow around the site.

21 So that was the surge aspect. You know,
22 moving on to the next variable in the equation, wave
23 runup. Wave runup is dependent on significant wave
24 height, wave period, wave direction, it's also
25 dependent on site-specific information such as what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the slope of the embankment that it's running up on,
2 what's the material of the embankment that the wave is
3 running up on?

4 So as you see here in this schematic on the
5 upper right, at this juncture, the side slopes of the
6 proposed site are 1 to 3, so every foot up vertical,
7 it goes three-feet horizontal. You'll also note the
8 site grade on this schematic of 36.9 feet, just keep
9 that number in mind when we get to the next slide, but
10 using that information, that localized information,
11 you know, the embankment is, at this point, proposed
12 is concrete riprap material.

13 Using that information and then with the
14 output from the ADCIRC and SWAN models, the ADCIRC and
15 SWAN model produces time series information of water
16 levels, and also, time series information of wave data,
17 so time series of significant wave heights, wave
18 periods, et cetera.

19 And using that wave information and the
20 local site characteristics of the proposed site, we
21 were able to calculate the wave runup throughout each
22 simulation at the site using Coastal Engineering Manual
23 methodologies.

24 And so one last note, if you see the four
25 green points surrounding the proposed site there,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically what that is is to factor in directionality
2 of the waves. We look at representative points on each
3 side of the structure and by doing so, you know, like,
4 we are able to look at any potential variability in,
5 you know, is the eastern side the worst case scenario,
6 the western point, et cetera, so we're able to look at,
7 sort of, the spatial distribution of what that wave
8 runup and total water level would be around the site
9 as opposed to just one representative location.

10 So with that, when you factor in the
11 two-dimensional surge model, the wave runup, the surge
12 modeling had an antecedent in water level condition of
13 1.35 feet, which represents the project 100-year sea
14 level rise in the area. That produces a still water
15 level of 20.2 feet, and when you couple on top of that,
16 superimpose, the wave runup, and then 10 percent
17 exceedance high tide, that represents a total surface
18 elevation of 32.1 feet, which is the design basis flood
19 total water surface elevation at the site.

20 And if you compare that to the proposed
21 site grade of 36.9 feet that was on the previous slide,
22 you'll see that we're well underneath the top of the
23 site relative to the design basis flood level.

24 MEMBER SKILLMAN: Michael, what
25 establishes the maximum still water level?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SALISBURY: Is the peak surge level at
2 the site that's recorded throughout the simulation.

3 MR. MELLON: That's the SWAN output?

4 MR. SALISBURY: Still water, that's the
5 ADCIRC component of the output, but yes. So we
6 simulated, produced time series information at these
7 points around the site and then with that, you know,
8 if you look at the hydrograph at the time variant data,
9 it's the peak point associated with that.

10 And in this particular case it's, you know,
11 worth noting that, you know, we're concerned more about
12 the total water level side of things, so it's really
13 the superposition of the time variant wave runup with
14 time variant surge, and, you know, the peak wave runup
15 doesn't necessarily coincide with the peak still water,
16 so we calculated the total water level, which is more
17 important to understand that dynamic that's at play
18 there.

19 MEMBER SKILLMAN: Okay. So for this
20 slide, antecedent is the night before the quiescent
21 level at the site, then there are a series of events
22 that drive the bay elevation, and that is the series
23 of events that you've just described. And the
24 consequence of that is approximately a rise of 18-1/2
25 feet. It goes from 1.35 to 20.2, and then you put on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, the wave runup, and you've added margin on that
2 exceedance for the height for the tide, that gives you
3 32.1.

4 MR. SALISBURY: Yes.

5 MEMBER SKILLMAN: So 24 hours later, if
6 all is calm, you're back to 1.35 feet, or 36 hours,
7 whatever it is.

8 MR. SALISBURY: Yes.

9 MEMBER SKILLMAN: Now I understand.
10 Thank you.

11 MR. SALISBURY: Okay.

12 MR. MELLON: And this is just to note that
13 we don't know if we have a passive system, then the
14 intake structure is not safety related. If we have an
15 active, you know, emergency cooling systems, then we
16 need a safety related intake structure, then that will
17 have to be designed for this flood. The new plant grade
18 is above that flood level, so we remain a dry site.

19 A lot of this is driven because the design
20 certs assume that the plant grade is one-foot above your
21 maximum flood, so as opposed to Salem and Hope Creek,
22 which have flood protection at their current site
23 grade, they have water-tight doors, and they take the
24 actions, which they did at Sandy, to close them, and
25 make ready for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have to raise this site or else take a
2 departure from the design cert, but for the purposes
3 of our ESP, we're describing raising the site. And the
4 riprap protection is part of what we would have to do
5 on the site to maintain those slopes so that the wave
6 actually would keep the site grade intact.

7 And with that, we're going to move on to
8 ground water and accidental releases of liquid
9 effluents. Thank you, Mike.

10 MR. SALISBURY: Thank you.

11 MR. MELLON: And Nelson Breton is going to
12 talk to us. Nelson has over 28 years of experience
13 conducting environmental, geologic, and hydrogeologic
14 site investigations. He's led a number of
15 environmental field investigations, including
16 multimedia environmental and radiological site
17 characterization at sites under both state and federal
18 regulatory review.

19 Nelson's a Connecticut licensed
20 environmental professional in the State of Connecticut
21 and he's a certified geologist in the State of Maine.
22 Nelson has a Bachelor's Degree in Geology from the
23 University of Maine. Thanks.

24 MR. BRETON: Thank you very much, Jaime,
25 and thanks for having us. Good morning. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater section, we'll talk about the regional
2 hydrogeology groundwater use and effects on your water
3 when you're doing construction. This slide here, we
4 talk about the regional hydrogeology locally and in the
5 region. Characterize the hydrogeology as
6 water-bearing coarse-grained units intervened with
7 finer grain confining units.

8 The thickness of these is approximately
9 over 1000, 1500 feet total over bedrock units. The PRM
10 aquifer system is important to water supply, both in
11 the region and at the site, and --

12 MR. MELLON: PRM stands for?

13 MR. BRETON: Potomac, Raritan, and
14 Magothy. The next slide will show the position of
15 these units; relative position. And the nearest
16 public water supply is approximately 3-1/2 miles from
17 the site. In this slide, we took out the relative
18 position of the various hydrogeologic units. The
19 upper units, shown here, local hydrologic fill,
20 alluvium, and the deeper units below that are regional
21 units, blue representing the water-bearing zones, and
22 the white representing the confining thickness of these
23 units; relative thickness.

24 Again, the confining units between the
25 upper zones, locally, and the deeper PRM lower units

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is approximately 400 feet, so you have about 400 feet
2 of confining unit thickness of relatively impermeable
3 units.

4 MEMBER RYAN: Just out of curiosity,
5 what's the depth of all of these individual units
6 combined?

7 MR. BRETON: Just over 1000 feet.

8 MEMBER RYAN: Thousand feet?

9 MR. BRETON: Yes. And the upper units,
10 that are saline, are 100, 150 feet in depth.

11 MEMBER RYAN: Thank you.

12 MR. BRETON: Again, we talk about the PRM,
13 the Potomac, Raritan, Magothy aquifer. Based on prior
14 studies, there's sufficient capacity for future use.
15 Investigations were completed in around 2009 to
16 evaluate the local hydrogeology to support
17 construction and accidental release scenarios.
18 Again, the shallow aquifers are saline, not suitable
19 for potable use.

20 The plant area information was collected,
21 including ground levels that helped us with evaluating
22 groundwater flow. In the shallow units, that being the
23 Alluvium and Vincentown aquifers. The next slide will
24 depict that. This is an average flow condition in the
25 shallow water-bearing zone, the alluvium. A similar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterization is arrived at for the next deeper
2 unit, the Vincentown.

3 MEMBER SKILLMAN: Let me ask, what forces
4 that flow? What is the hydrology behind the drift to
5 the west? Is there an elevated aquifer further to the
6 east that is draining to the west or what causes that
7 flow?

8 MR. BRETON: Mostly precipitation. It's
9 imposing on top of the alluvial material and the
10 overlying hydrologic field. So accretion of
11 infiltration from precipitation drives that flow
12 direction.

13 MEMBER SKILLMAN: Okay. Thank you.

14 MR. BRETON: A groundwater model was
15 developed to support the dewatering during
16 construction as well as evaluating post-construction
17 hydrostatic loading, which fed into the geotechnical
18 evaluation. Modeling results show dewatering
19 requirements that consistent with Hope Creek's station
20 nearby. Post-construction, local mounding was
21 possible, so that was revealed in the results of the
22 modeling as well, in the shallow units, that is, again,
23 the Alluvium and the Vincentown.

24 We talked about accidental release,
25 previous slide, two release scenarios were envisioned.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 From the prior slides, we show the predominant flow
2 direction to the west. One scenario, release
3 occurring on the western edge of the power block and
4 migrating towards the Delaware River, and as a result
5 of placement of silt retention barriers, relative
6 mounding, another release scenario was envisioned
7 towards the northeast, towards the Fishing Creek, water
8 body that discharges into the Delaware River.

9 For each scenario, the shortest transport
10 pathway was chosen as the Alluvium, the shallowest
11 water-bearing zone, higher permeability than the
12 hydrologic fill, and the underlying Kirkwood Unit.
13 Next slide. In this here, we depict each location of
14 the releases, on the west side towards the Delaware and
15 to the northeast towards Fishing Creek.

16 MR. MELLON: So the pink block is the power
17 block.

18 MR. BRETON: That's it.

19 MR. MELLON: It would be the 36.9-foot
20 elevation that we've built the plant up on. And the
21 two, then, release pathways.

22 MR. BRETON: That's right. In each case,
23 in each flow, we considered the effects of mounding,
24 which is important, because you have pre-construction
25 water levels measured, and we looked at the effects of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mounding effects post-construction, again, due to the
2 placement of retention walls. Concentrations for each
3 compared to the ECLs, again, we assume maximum
4 groundwater velocities in each case with maximum
5 hydrologic conductivity values, which is a property of
6 each of the aquifers.

7 And when you're factoring in dilution, in
8 each situation we beat the Unity Rule. Surface water,
9 and there are no potable surface water supplies down
10 gradient of the site, and control measures will be in
11 place to prevent accidental releases, and those
12 measures will be further described in the COLA stage.

13 MR. MELLON: That's the conclusion of our
14 presentation. Do you have any questions?

15 CHAIRMAN POWERS: Members have any
16 additional questions? Okay. In that case, we will
17 take a respite of 15 minutes in order to allow the staff
18 to setup and make their presentation, and --

19 MR. MELLON: Just me.

20 CHAIRMAN POWERS: Yes, and the rest of
21 your staff's free. You have to work. And we will
22 resume in 15 minutes.

23 (Whereupon, the above-entitled matter went off the record at 9:31 a.m.
24 and resumed at 9:45 a.m.)

25 CHAIRMAN POWERS: Let's get back into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 session. I think Mr. Mellon wants to make an amendment
2 to some of his comments.

3 MR. MELLON: We did, to your question,
4 Dick, about other hurricanes and as part of Fukushima
5 response for Salem and Hope Creek, we evaluated other
6 hurricanes to understand the probability, how possible
7 it is that a hurricane would break grade. A Cat 1
8 hurricane results in a 6.35 feet of NAVD surge, so there
9 would be additional wind setup, wave runup on top of
10 that, a Cat 2 was 11 feet NAVD, and again, also wind
11 setup, wave runup on top of it, and a Cat 3 was about
12 14-1/2 feet NAVD.

13 And if you remember from our slide, I think
14 our still water level from just the surge alone was
15 about 20 feet, so these would be less significant
16 events.

17 MEMBER SKILLMAN: Thank you.

18 MR. MELLON: Sure.

19 MEMBER SKILLMAN: Thank you.

20 CHAIRMAN POWERS: Good. Now we turn to
21 the staff, and, Prosanta, you'll --

22 MR. CHOWDHURY: Yes. I'll introduce.
23 Thank you. On this slide, you will see that we are
24 presenting Chapter 2 Section 2.4, hydrologic
25 engineering safety evaluation. The publicly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 available advanced safety evaluation with no open items
2 was issued on April 22, 2015, and the Adams Session
3 Number is listed here. And two principle contributors
4 are present with me today, Joe Giacinto and Dr. Henry
5 Jones.

6 So with that, I will flip the slides and,
7 Joe, you can go first.

8 MR. GIACINTO: Okay.

9 MR. CHOWDHURY: You do this yourself.

10 MR. GIACINTO: All right. I'm Joe
11 Giacinto. I'm the hydrologic engineering lead for the
12 PSEG project. I've been with the
13 hydrology/meteorology branch for six years, with 25
14 years of industry and regulatory experience. I'm a
15 certified professional geologist and I'd like to
16 introduce Henry, my colleague.

17 DR. JONES: I'm Dr. Henry Jones. I've had
18 eight years here in the hydrology, meteorology,
19 oceanography branch. Prior to that, 28 years in the
20 United States Navy, 26 years of that as a geophysicist
21 and meteorologist. I have degrees from the United
22 States Naval Academy, a Master's in Meteorology,
23 Oceanography, and a Doctorate in Oceanography, with a
24 specific specialty in ocean waves from the Naval
25 Post-Graduate School.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GIACINTO: Okay. Thank you. We'll
2 start out with some background. The hydrologic
3 engineering staff conducted a visit at the PSEG site
4 in February of 2011. The topics include the site
5 setting, hydrologic site characteristics and
6 associated document reviews and calc packages. The
7 staff coordinated the review with state and federal
8 agencies, including the New Jersey Department of
9 Environmental Protection, U.S. Geological Survey for
10 Surface Water and Tsunami, the U.S. Army Corps of
11 Engineers, and NOAA.

12 The staff performed independent review and
13 confirmatory analysis, as explained in the upcoming
14 slides. Before you go to the next slide, I'd like just
15 to point out the proposed PSEG site layout. As PSEG
16 pointed out, the rectangle there in red is the power
17 block area. It's approximately 70 acres. And to the
18 left of that is a light-blue rectangle, which is the
19 intake structure area, and various other areas around
20 the site as well, but those two areas are where we'd
21 have our safety-related SSCs. Okay. Next slide.

22 As far overview, as you've heard, the PSEG
23 site is located on the eastern shore of the lower
24 Delaware River, the upper Delaware Bay. The watershed
25 for the Delaware River is approximately 13,600 square

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 miles and about 11,500 of that is upstream of the PSEG
2 site.

3 As expected, the tidal flow dominates the
4 freshwater flow at the site and there's a wide and open
5 connection to the Atlantic Ocean. The existing site
6 grade is about 5 to 15 feet and proposed site grade is
7 36.9 feet. The storm surge is the design basis flood
8 level determining event at 32.1 feet. And to the right
9 is an image of the Salem, Hope Creek operating plants,
10 and the location of the PSEG site alongside the Delaware
11 River.

12 CHAIRMAN POWERS: They arrived at this
13 storm surge level using a fairly elaborate
14 two-dimensional computer code that they subsequently
15 did a bunch of refinement. Will you discuss what the
16 staff did in connection with that computational
17 vehicle?

18 MR. GIACINTO: Yes, at the storm surge, we
19 have a slide coming up on that.

20 CHAIRMAN POWERS: I'd like to understand
21 because they made the point in their presentation that
22 two-dimensional modeling was widely viewed as more
23 accurate than is the one-dimensional screening
24 modeling. And one can certainly believe that. The
25 trouble is that two-dimensional modeling requires more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input and more skill from the user and user inputs than
2 does the one-dimensional screening modeling.

3 And I'd like to understand how the staff
4 looked at that and quite frankly, I would have enjoyed
5 understanding better how they validated that modeling
6 in a more quantitative sense. I mean, they made
7 statements to the effect that they looked at various
8 data points and they got close. Well, this is not
9 either horseshoes or hand grenades, so close doesn't
10 necessarily mean good.

11 DR. JONES: We'll get to that one --

12 MR. GIACINTO: Yes, and we'll talk about
13 that when we get to the storm and surge slides coming
14 up shortly. Thank you. For the flood analysis
15 summary, in terms of local intense precipitation, as
16 was mentioned, the site drainage design is dependent
17 on reactor technology selected. So the local intense
18 precipitation review will be deferred to the COL stage,
19 and as a result, we have COL Action Item 2.4-1, whereas
20 a COL or a construction permit applicant referencing
21 the ESP should design the site grading to provide
22 flooding protection to safety-related structures at
23 the ESP site based on a comprehensive flood water
24 routing analysis for a local PMP event, or LMP, without
25 relying on any active surface drainage systems that may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be blocked during this event.

2 CHAIRMAN POWERS: Assuredly, the draining
3 analysis does require the technology to be in place to
4 evaluate, but how did you feel about their source term?

5 MR. GIACINTO: They did analysis all the
6 way up to the point, a standard analysis, which was
7 adequate up to the point of evaluating the site
8 drainage. I mean, we have a plant grade of 36.9 feet,
9 but we don't know how the site's going to be configured
10 in terms of drainage ditches, culverts, and that sort
11 of thing.

12 CHAIRMAN POWERS: But you didn't have any
13 trouble for the amount of rain that they got?

14 MR. GIACINTO: No, the PMP derived was
15 through standard methods, HMR 51 to 52, and so on, to
16 the routing. For the flood analysis summary for
17 probable maximum flood, that resulted in a value of 21
18 feet per ANSI/ANS 2.8 combinatory events, which
19 included the probable maximum precipitation, runoff
20 and infiltration conservatively estimated, and surge
21 and seiche from the worst regional historical
22 hurricane, which was Hazel, and 10 percent exceedance
23 high tide.

24 I would say that the probable maximum
25 precipitation was actually very conservative and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could have used a 500-year flood, but this was actually
2 greater than the 500-year flood, and they used this.
3 And the result was that, the maximum calculated water
4 level is actually 15.9 feet below the proposed site
5 grade.

6 Okay. And here's where we get into the
7 probable maximum surge and seiche, which, Henry can
8 talk to in terms of the details that went in. I'll just
9 give you a quick overview and hand it off to Henry. The
10 initial screening method, which was a one-dimensional
11 model of HEC-RAS, and integrating the wind model, it
12 resulted in an extremely conservative, beyond the world
13 record surge of 42.4 feet. Never been seen before.

14 So at that point, we move to a more
15 realistic approach, which incorporates physics, and
16 which is the two-dimensional model, and incorporates
17 conservatism as well, with the resulting design basis
18 flood of 32.1 feet. And at this point, I'll hand it
19 off to Henry and let Henry and Chris explain some of
20 the particulars about the physics and what went into
21 the --

22 DR. JONES: You asked about the details,
23 what I have here, who I have here, is Dr. Chris Bender.
24 He's from Taylor Engineering, who performed the
25 analysis and the review of the storm surge. I'll let

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 him speak to this.

2 MR. BENDER: Hello. As Henry mentioned.
3 I'm Christopher Bender. I work with Taylor
4 Engineering. We've been working with the NRC on this
5 project. I have a Master's Degree in Coastal
6 Engineering from the University of Florida and a PhD
7 in Coastal Engineering from the University of Florida
8 as well. I worked with Henry to review the analysis
9 that was conducted for the ESP application and also to
10 do an independent confirmatory analysis as well.

11 And I guess stepping through, the first
12 step was to review the model that was applied by the
13 licensee, and that was the FEMA Region III model.
14 Taylor Engineering has worked on several of the recent
15 FEMA re-analysis studies in the southeast U.S.,
16 starting in South Carolina and working down through
17 Florida, including the Gulf of Mexico, and Louisiana,
18 and Texas.

19 And the SWAN plus ADCIRC model is the model
20 of choice right now that is being used in those studies.
21 And having worked on those studies, there's a
22 significant quality control and validation that goes
23 through the DEM development, the digital elevation
24 model, the model mesh is, Dr. Salisbury mentioned, the
25 1.6 million nodes. There's a significant review that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goes in there. And then there's a review of the model
2 settings and then the model validation.

3 And FEMA is very specific in their
4 guideline so you don't calibrate the model. You don't
5 just change the model parameters however you feel in
6 order to get good results. It's called a validation,
7 not a calibration, so you keep those model parameters
8 within an acceptable range and try to show over a series
9 of, you know, three to five storms that your model
10 reproduces the measured water levels for the historical
11 events.

12 And one thing that, you know, I spoke with
13 Henry about and you're limited by is, you can't create
14 historical events. The historical record is what it
15 is, so you have to find the storms that have data, both
16 meteorological, and water level, and wave, and then
17 those are what you can validate to.

18 So we reviewed the validation that was done
19 for the FEMA Region III model and it showed good, you
20 know, unbiased results for the historical data that was
21 available and, you know, the validation looked similar
22 to the other FEMA studies that we worked on.

23 MEMBER SKILLMAN: Can you please explain
24 how many samples?

25 MR. BENDER: There were, as was mentioned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I believe, five storms. There were, I believe, two
2 nor'easters and three tropical storms that were looked
3 at as part of that FEMA study, and that's pretty typical
4 for a FEMA study. There's between three and five
5 storms that are looked at. And southeast, there's no
6 extra tropical storm, so northeast, you might have a
7 couple extra. There would be extra tropical.

8 MEMBER SKILLMAN: Yes, sir. Thank you.

9 MR. BENDER: The next part of our analysis
10 that I worked with with Dr. Jones was to re-validate
11 the model that was developed by the Applicant. As was
12 mentioned, there was resolution added near the site,
13 which makes sense. The FEMA studies are looking over
14 hundreds of miles over, in some cases, multiple states,
15 or large portions of states, so they're not focused in
16 on one specific plant.

17 So it does make sense to add in this extra
18 resolution and we were able to, on a separate computer
19 cluster, reproduce within 1/10 of a foot, the water
20 levels that were produced by the Applicant's model that
21 included the additional resolution, so Henry and I
22 discussed that. It gave us comfort that their model
23 changes didn't introduce any different model results,
24 or any instabilities, or anything that was of concern.

25 And, you know, with the extra resolution,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provided a better tool to actually look at the results
2 at the site. And then as was mentioned earlier, the
3 screening was done by the Applicant where they apply
4 this one-dimensional approach based on the NWS 23
5 results, and they came up with a set of storms that were
6 run through the very refined SWAN plus ADCIRC model.

7 And what we did is, we were able to, on a
8 separate cluster, replicate their PMH results after
9 reviewing the NWS 23 guidance to document that they had
10 chosen the correct ranges of parameters that are listed
11 within NWS 23, so Henry and I, you know, went through
12 the documentation, confirmed that they were using the
13 right values, and then were able to replicate those
14 values on the Taylor Engineering high-performance
15 computing cluster.

16 And then the next step was, since they had
17 applied a screening tool that was a one-dimensional
18 model that, as has been stated, doesn't included,
19 necessarily, all the physics. You know, for part of
20 it, it doesn't account for the shape of Delaware Bay,
21 or some of the nuances that a two-dimensional model can.

22 We did a sensitivity study where we varied
23 the storm track that they applied, we varied the storm's
24 forward speed, then we looked at some of the model
25 settings that they had applied to just evaluate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sensitivity to see if there would be large changes in
2 the maximum surge level that was produced in their
3 model. And there were some small changes, one foot or
4 so, but no really large changes in the still water
5 levels that were created by shifting the storm, or
6 speeding the storm up, or applying some of those
7 changes.

8 So that got us to the still water
9 elevation. That doesn't include the wave runup. Then
10 we looked at their wave runup methodology, and what they
11 applied, Corps of Engineers, Coastal Engineering
12 Manual, a standard that is used by our firm and by many
13 other firms in terms of wave runup analysis.

14 And using their wave results and comparing
15 those to the wave results from our model, we got very
16 similar runup levels for their PMH storm to where, you
17 know, the final water levels were within a foot for our
18 completely independent analysis using our cluster and
19 our wave results in those models.

20 So that, you know, Henry and I discussed,
21 gave us comfort in those values, and it should be noted
22 that not only is there conservatism in the
23 two-dimensional modeling, but within runup, you have
24 choices too about how the riprap will affect the waves
25 and what wave height to even apply. And there were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 noted, and, you know, we agreed, conservative
2 approaches even within the runup analysis as well that
3 led to the final value that they had, so that was the
4 process that we took to verify the modeling that was
5 conducted.

6 I know it was a lot. I'm open to any
7 questions if any of that was unclear.

8 CHAIRMAN POWERS: Well, I'm going to just
9 inject, Prosanta, this is excellent. This is the kind
10 of stuff that many people don't see. It's high quality
11 confirmatory analysis and that's what I was looking
12 for. Thank you very much.

13 MR. CHOWDHURY: Thank you.

14 CHAIRMAN POWERS: Henry, I think you're
15 responsible for this and it sounds like you did a good
16 job there.

17 DR. JONES: Well, thank you, sir.

18 MEMBER SKILLMAN: I would like to ask,
19 you've used the term Taylor Engineering
20 high-performance computer cluster several times.

21 MR. BENDER: Yes.

22 MEMBER SKILLMAN: Would you explain what
23 you mean by cluster?

24 MR. BENDER: That is the ADCIRC model and
25 the SWAN model are written in a way that allows it to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 run in a parallelized mode, which means that the domain
2 is split-up into different regions that all run at the
3 same time, and it greatly improves the efficiency of
4 the numerical model so that it runs --

5 CHAIRMAN POWERS: And with 1.6 million
6 nodes, you better --

7 MR. BENDER: Might run a little faster.
8 So the Applicant had the random model in a parallel mode
9 on their cluster, which, I'm not sure which one it was,
10 but they had a high-performance computing resource that
11 they used, and Taylor Engineering has their own
12 cluster. It's got 200 and -- well, it's got 512 nodes
13 if we run it in a certain way, and what that means is
14 we could take that 1.6 million node domain, which
15 includes the Carribean, the Gulf of Mexico, and the
16 Eastern Coast, and separate that into 512 little models
17 that are all running at the same time and communicating
18 at the boundaries.

19 So instead of it running on, you know, a
20 single computer like that, ours should rung, you know,
21 hundreds of times faster by running it in a parallelized
22 mode, and that's what's important for -- it's used for
23 these FEMA studies where they're running hundreds of
24 these models on these very refined meshes in order to
25 meet the schedule for the FEMA studies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They're using these high-performance
2 computing resources and Taylor Engineering has its own
3 cluster, relatively small compared to a research
4 institution or a university, but still, you know,
5 greatly improves the efficiency over a single computer.

6 DR. JONES: And the other thing too, is
7 that, you could also have computer errors, depending
8 on what the cluster you have, so by them both having
9 independent separate clusters and reaching,
10 essentially, the same result, actually reinforces it.

11 MEMBER SKILLMAN: Thank you.

12 CHAIRMAN POWERS: Now, that's the kind of
13 stuff that people don't see in summary presentations
14 that I think needs to get highlighted, and especially
15 when it's done, as you say, independent cluster, or
16 independent examination, and the input review of the
17 methodologies get, kind of, the same results, maybe not
18 after the third significant figure, but reasonably
19 close, gives confidence to what the staff does.

20 And I think many people don't appreciate
21 this because it doesn't get highlighted and I
22 appreciate it very much.

23 MEMBER SKILLMAN: I do too, thanks.

24 DR. JONES: Another slide.

25 MR. GIACINTO: Well, we have a few more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes.

2 MR. CHOWDHURY: Anything else with this
3 one?

4 DR. JONES: Not really. No.

5 MR. CHOWDHURY: Okay.

6 MR. GIACINTO: We talked a little bit
7 about the intake structure and for flood protection,
8 the site created 36.9 with a design basis flood of 32.1.
9 There's obviously sufficient margin for safety-related
10 site grade structure, system, and components. At the
11 intake structure design associated with flood
12 protection would be considered at the COL stage simply
13 because it's dependent on the technology.

14 And as a result, we have a COL Action Item
15 2.4-2, whereas, a COL or CP Applicant referencing this
16 ESP should address whether the intake structure of the
17 selected design is a safety-related SSC. If so, the
18 Applicant should address the necessary flooding
19 protection for a safety-related intake structure at the
20 ESP site based on the design basis flooding event and
21 associated effects.

22 As for groundwater, the maximum
23 groundwater level taken was ten feet, with a proposed
24 site grade of 36.9 feet. There will be a monitoring
25 program implemented during construction and operation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As a result, we have COL Action Item 2.4-3, whereas a
2 COL or CP Applicant referencing this ESP should refine
3 hydrogeologic parameters and model estimates of
4 dewatering rates and drawdowns beneath the existing
5 site structures after determination of the final
6 excavation geometry, consistent with the selected
7 reactor technology.

8 So at the COL stage, there'll be
9 significant changes to the site, obviously, and
10 additional data gathered during that time will help us
11 characterize the response to the site and refine our
12 understanding of the hydrogeology.

13 Oh, and to the right, just to mention that,
14 that's the site-wide September water levels for the
15 Alluvial aquifer, and you can see around the operating
16 plants, there's somewhat of a mound there, it's only
17 three feet maximum, but as their Applicant's modeling
18 showed, there may be a mound at the new site after the
19 COL stage, and that was accounted for in terms of the
20 release scenarios as well.

21 Okay. As for the plant parameter envelop,
22 our bounding maximum flood level would be one foot below
23 site grade and our maximum groundwater level bounding
24 value would be 3.3 feet below site grade for the
25 technologies selected. Okay. Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And just to summarize our water levels and
2 the PSEG site grade, we have our site grade at 36.9,
3 our screening, one-dimensional storm surge analysis,
4 at 42.4 feet, the design basis flood at 32.1 feet, the
5 PMF at 21 feet, maximum groundwater at 10 feet, probable
6 maximum tsunami at 5.6 feet, and for comparison, we've
7 listed two hurricanes to compare to the water levels
8 at the site.

9 The U.S. record, of course, is Hurricane
10 Katrina at 29 feet measured at the Gulf Coast.
11 Hurricane Sandy is measured at Oyster Creek, which is
12 about 75 miles east, northeast of the PSEG site. As
13 for the accidental release of radioactive
14 radionuclides, the scenarios account for potential
15 post-construction flow directions, both towards the
16 Delaware River towards the west and the marshlands
17 towards the northeast, which in effect, drain into the
18 Delaware River.

19 The bounding PPE and conservative
20 hydrologic characteristics were incorporated in the
21 simulations and the results, concentrations of each
22 radionuclide were less than the associated limits in
23 10 CFR 20, and the sum of the ratios for all the
24 radionuclides in the mixture was less than Unity.

25 Conclusions from the hydrogeologic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering review is that the Applicant has provided
2 sufficient information about the site, description,
3 satisfied the requirements, and considered the most
4 severe natural phenomena that have been historically
5 reported for the site and surrounding area, and
6 appropriately estimated the design basis flood
7 elevation. And that concludes our slides. I think
8 you have one more.

9 MR. CHOWDHURY: Yes, I have, but let's see
10 if there are any questions.

11 CHAIRMAN POWERS: If I can come back a
12 little to these radioactive liquid effluent analysis.
13 The Applicant indicated on his Slide 23 and assuming
14 maximum groundwater velocities, and solely a vector
15 transported decay, some radionuclides would exceed
16 ECLs for each release scenario. Then he says,
17 factoring in dilution results and levels up to several
18 orders of magnitude below ECLs, Unity Rule is met for
19 each release scenario. Can you explain more what he
20 did and what you did to review that?

21 MR. GIACINTO: Sure. What was done is,
22 being conservative, the maximum groundwater velocities
23 were taken towards the Delaware River, which is the
24 short pathway to the west, and the marshlands towards
25 the northeast, so the release was conservative on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 several levels, in terms of the fastest pathways
2 possible towards these locations.

3 Now, these pathways are considered through
4 brackish water aquifers, which would not be used for,
5 obviously, drinking water or anything else. So what
6 was done is, when the release points are assumed to be
7 the river, which, the alluviglock (phonetic) for
8 subcrops into the river. And after the site is built,
9 obviously, they'll have a bulkhead along the river,
10 which would impede flow, which is another conservative.

11 But in addition to those pathways, the
12 maximum gradient assumes that you take the water level
13 that's measured in a well and then the river level, but
14 the thing is, with the Delaware River, it's tidal, so
15 it's going in and out, so the groundwater isn't actually
16 moving to the river and then back in. It's moving back
17 and forth, back and forth, so those travel times that
18 are calculated are actually very, very conservative.

19 In reality, they'd be much, much longer
20 than they actually are in both directions because this
21 marshland is also tidally influenced. But at the
22 point, assuming it goes through the alluvial aquifer,
23 which is the fastest path, there's no credit taken for
24 what's called retardation, in terms of absorption by
25 the radionuclide metals onto sediment, which will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typically happen to have very high absorption
2 retardation values, but no credit is taken for that.

3 What is taken is that when it reaches these
4 locations, there's a very minimal amount of dilution
5 that would be necessary in order to meet the ECLs,
6 whereas, at Marsh Creek, I mean, we're talking cubic
7 feet per day magnitude. And the Delaware River, as you
8 saw, the tidal flow is on the order of hundreds of
9 thousands of feet per day, whereas, to meet ECLs, they
10 would only need, like, 112 cubic feet per second, which
11 is less than 1 percent of the tidal flow.

12 And then towards Fishing Creek, which is
13 the marshland, that transport would have to go through
14 layers of organic sediments, which would, again, retard
15 that. And then at Fishing Creek, there's a very
16 minimal amount of flow that's needed to reach ECLs,
17 which is on the order of a fraction of a cubic foot per
18 day, or maybe a foot, or I forget the number, but I can
19 get that for you, but a few cubic feet per day of water.

20 Now, this all assumes that the tank is
21 released in the concentrations that are in the tank to
22 the aquifer. In reality, for the tank to leak, you'd
23 have to have water coming into the containment, and then
24 it would leak out, and you'd have more dilution before
25 it even started. So those are the things we looked at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in terms of the transport and the conservatives built
2 into that.

3 CHAIRMAN POWERS: Okay. Your slide
4 wasn't very clear. You didn't explain it very well.
5 He did a good job.

6 MR. CHOWDHURY: Any other questions
7 before I move to the next slide?

8 CHAIRMAN POWERS: Any other questions on
9 this subject? Let's continue.

10 MR. CHOWDHURY: Okay. Now I take over
11 from Dr. Jones and Joe. This is a standard sample that
12 we used before for the first general regulatory and
13 conclusion regarding the site safety and suitability
14 to the final safety evaluation because that will
15 include ACRS findings too. That's in Phase D, which,
16 by the way, has September 30, 2015 public milestone.

17 So today, we presented advanced safety
18 evaluation with no open items on Chapter 2 Section 2.4,
19 which is hydrologic engineering. And just to recap
20 that this SE does not contain any permit conditions and
21 it does contain three action items that have to be
22 addressed by a COL or CP Applicant referencing these
23 early site permit.

24 Now, I'd like to recap, because this is the
25 last Subcommittee meeting, for the benefit of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Members and the audience-at-large, and members of the
2 public, for that matter, the summary of what we have
3 done so far, and I'll be brief. And if you have any
4 specific questions on subject areas, we do not have
5 those subject area experts or technical staff present
6 today.

7 However, it's just a summary. We have
8 already presented to you and we answer your questions.
9 So I'll verbalize. One of the important things I would
10 like to mention is our interaction with other agencies.
11 We have mentioned that, but we have taken significant
12 effort, made significant effort, to interact with other
13 agencies very closely to the extent we needed. That
14 includes the Federal Emergency Management Agency, who
15 is a partner with the NRC in terms of the emergency
16 planning review for offsite emergency plans.

17 United States Army Corps of Engineers, as
18 Joe mentioned, Coast Guard, U.S. Coast Guard, NOAA,
19 National Oceanic and Atmospheric Administration, New
20 Jersey Department of Environmental Protection, the
21 hydrology folks, interacted with them, and then the
22 U.S. Geological Survey.

23 So although these are just a few names, but
24 the interaction made our independent analyses, getting
25 insight, discussing with them, matters of interest, was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 significant in reaching the conclusion that the staff
2 did in various aspect of review.

3 I already mentioned on March 19th, we
4 presented several pieces of the safety evaluation with
5 no open items, aircraft hazards, radiological effluent
6 release, those consequences from normal operations,
7 which is 11.2 and 11.3. We presented emergency
8 planning, which is Section 13.3. Included in there was
9 14.3.10, which is emergency planning, the ITAAC. And
10 it's a long list of ITAAC that has been presented also.

11 Chapter 15, we presented 15.0.3, which is
12 radiological consequences of design basis accidents.
13 Chapter 17, 17.5 in particular, quality assurance
14 program description. And in September 2014,
15 specifically on the 29th and 30th, we presented
16 geography and demographic, nearby industrial
17 transportation and military facilities. That's 2.1
18 and 2.2 combined, and then meteorology, which was a big
19 chunk of our review, Section 2.3.

20 And on that same timeframe, we also
21 presented Chapter 2.5, which is a significant chapter
22 also, geology, seismology, and geotechnical
23 engineering. On June 9, which is today, we presented
24 to you the last piece of our advanced safety evaluation
25 with no open items, that's on hydrologic engineering,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2.4.

2 Site location and description of some of
3 the areas I'm going to mention that had no action items
4 or permit conditions, they were clean to the extent that
5 the ESP scope allows. The Applicant met requirements
6 in describing site location description. In the
7 exclusion area, or third gamma (phonetic) control, with
8 respect to ownership and control of arrangements of 85
9 acres of land from the U.S. Army Corps of Engineers,
10 there is a permit condition, it's quite detailed, and
11 that permit condition is -- they are in the SE, because
12 the arrangement has not been finalized when the SE was
13 published and presented.

14 So population distribution, the Applicant
15 met the requirements that the staff found.
16 Identification of potential hazards in the site
17 vicinity, all requirements for the ESP have been met.
18 Now, evaluation of potential accidents. There is a
19 permit condition, which is Permit Condition 2, we
20 presented to you earlier in March, I believe, or
21 September, September, it has to do with the effects of
22 potential explosions associated with the new located
23 gasoline storage tanks and gasoline delivery tanker
24 truck on the nearest SSEs, structure systems, and
25 component with regard to safety.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 So that permit condition is there. For
2 the meteorology, there are no permit conditions and
3 there is, for regional, local, meteorology and onsite
4 meteorological measurement program, all requirements
5 for the ESP have been met.

6 Short-term diffusion, the Applicant met
7 the requirements, as the staff found out. Long-term
8 atmospheric dispersion estimates for routine release,
9 the staff proposed a COL Action Item, which is 2.3-1.
10 Regarding identification and condition of any
11 difference in exported factors and most susceptible
12 locations, including those in sectors adjacent to the
13 Delaware River.

14 I don't need to go over the hydrologic
15 engineering because we already covered it today. Once
16 again, there are no permit conditions, three COL Action
17 Items. The site grade is 4.8 feet -- the proposed site
18 grade is 4.8 feet above the design basis flood of 32.1
19 feet NAVD.

20 Overall, for hydrologic engineering, the
21 Applicant has provided sufficient information,
22 satisfied the requirements, and appropriately
23 estimated the design basis flood elevation, less the
24 staff's findings. Geology, seismology, and
25 geotechnical areas, there are two permit conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One is related to the geological mapping for
2 documenting the presence or absence of false and shear
3 zones in dam foundation materials.

4 Migratory ground motion that now this
5 includes aspects of Virginia earthquake evaluation as
6 well as the Fukushima Near Term Task Force 2.1 seismic
7 evaluation that has been done. The staff did not need
8 a separate question and evaluation for that matter.
9 And stability of subsurface materials and foundations,
10 there is a permit condition concerning the need for
11 additional geotechnical investigations and leak
12 protection assessments.

13 That will be done once the Applicant
14 chooses the reactor technology. And then the staff,
15 in geology, seismology, and geotechnical engineering,
16 has identified several COL Action Items, quite a few,
17 in various areas that we presented to you. Stability
18 of slope will be evaluated after selecting a reactor
19 technology, so that evaluation is not stated.

20 The aircraft hazard has the COL Action Item
21 that concerns compliance with the design basis. I'm
22 reading this part, or all of this, taken from the public
23 development safety evaluation, so there's no surprises
24 here, except, I will not be able to explain if you have
25 a question on some specific pieces, but I can try my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 best.

2 Radiological effluence release dose
3 consequences from normal operations, that's Chapter
4 11.23, there is a COL Action Item concerning effluent
5 dose calculation based on site-specific information,
6 specific details, and those will be available at the
7 COL stage, and the Applicant will have to address.

8 Emergency planning has five permit
9 conditions, okay? Two of those, if I'm not mistaken,
10 are related to how the Applicant will address certain
11 aspects of Fukushima Recommendation 9.3. So those two
12 permit conditions are there and there are others, so
13 permit conditions, some of them, at least two of them,
14 have to do with emergency action levels which are not
15 the details and parameters are not available at this
16 stage.

17 MEMBER BLEY: Just a process question.
18 With a permit condition, I'm assuming what that means
19 is, when there's a COL, they'll have to just show that
20 they meet those conditions, and they will review it.

21 MR. CHOWDHURY: That is correct.

22 MEMBER BLEY: Okay.

23 MR. CHOWDHURY: And those conditions will
24 be part of the permit even when issued.

25 MEMBER BLEY: Oh, they will.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CHOWDHURY: Yes. And then the reg
2 provides adequate guidance for the Applicant,
3 otherwise, there is guidance for establishing a quality
4 assurance program that complies to 10 CFR Part 50. By
5 following the guidance in our ASME Standard,
6 NQA-1-1994.

7 The bottom-line is that the staff
8 completed advanced safety evaluation for all chapters
9 and sections associated with PSEG site, early site
10 permit application, and there are no open items. With
11 that, does the staff have any concluding remarks? Any
12 questions?

13 CHAIRMAN POWERS: Members have any
14 additional questions to pose? At this point, I will
15 --

16 MR. CHOWDHURY: One other thing, Dr.
17 Powers, just to mention to complete my slide is that
18 our next interaction is tomorrow with the Full
19 Committee on this project.

20 CHAIRMAN POWERS: And I believe you and
21 Quynh have discussed which will present there and I
22 would not hesitate at all to highlight where you have
23 done independent confirmatory analyses so that the Full
24 Committee can understand that. Jamie, you too, I
25 think, have discussed with Quynh what will be cited for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Full Committee?

2 MR. MELLON: Yes.

3 CHAIRMAN POWERS: It's a little late to
4 make changes so I'm not going to ask the Subcommittee
5 to give you any advice. And, Prosanta, I would not
6 hesitate, also, in your presentation to the Full
7 Committee to highlight your interaction with other
8 agencies. The ACRS has been positively impressed with
9 the ability of the staff to coordinate and I'm quite
10 certain that the Applicant appreciates that as well,
11 since it gives him one point of contact rather than
12 multiple points of contact.

13 So I would not hesitate to at least orally
14 highlight your interactions with FEMA, USGS, the Army
15 Corps of Engineers, and other agencies, both state and
16 local, because I think that's -- I know how difficult
17 interagency interactions are, and when you do it well,
18 it's a real service to the public.

19 Okay. At that point, I will ask that the
20 line be opened, but before I solicit comments on the
21 telephone line, I'll ask if there's anyone in the public
22 that wants to make comment. I don't see a flock of
23 people streaming to the microphones. Disappointing as
24 that may be, I will now ask if there is anyone on the
25 telephone line that wants to make a comment or other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contributions.

2 You have obviously not drawn a crowd. A
3 little more outrageousness on your part might have. I
4 hear no additional comments and hear none, we have no
5 advice to offer you for tomorrow. You're on your own.

6 MEMBER BLEY: Are you going to come around
7 to us or not?

8 CHAIRMAN POWERS: I asked if there were
9 other comments from the Members.

10 MEMBER BLEY: Well, questions, but
11 comments, despite your words, I'm going to offer just
12 a little advice, and you don't need -- you would never
13 need to touch a slide for this and you're probably
14 already doing it. I was just looking back over my notes
15 and I think for the Full Committee, there'd be some
16 interest in your organizational arrangement that you
17 explained to us at the first meeting, I think, with the
18 PSEG Power and the eventual shift over to PSEG Nuclear,
19 and the development of the plant parameter envelope and
20 how that works.

21 You're probably already planning to do
22 that, but just in case you weren't, I wanted to throw
23 that on the table. And I wanted to second what Dana
24 said about the independent review stuff. That was very
25 good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Dick, do you have any --

2 MEMBER SKILLMAN: I do. I reviewed the
3 2.4 safety evaluation very, very closely, 124 pages,
4 I think that that was very well done. I compliment you.
5 There's some things that are in that document that you
6 didn't talk about today. For instance, the
7 oscillatory seiche and how you determined that there
8 will not be an additional runup or additional increase
9 in water level.

10 How you calculated the impact on the lower
11 Delaware for the Doylestown heavy precipitation and the
12 Greater Philadelphia heavy precipitation, how you
13 determined that the last conduit on the Delaware is
14 really up in Trenton, and that once the water is below
15 Trenton, it opens up into this vast reservoir and there
16 is no real increase in elevation for whatever might have
17 happened upstream.

18 And so the thoroughness of the safety
19 evaluation is commendable. Thank you.

20 CHAIRMAN POWERS: Mike, do you have
21 anything that you wanted to add?

22 MEMBER RYAN: Well, I'm sure you probably
23 counted it, but I appreciate the --

24 COURT REPORTER: Sir, is your microphone
25 on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: I'm sorry?

2 CHAIRMAN POWERS: You've got to turn your
3 microphone on.

4 MEMBER RYAN: Oh, I'm sorry.

5 CHAIRMAN POWERS: Otherwise, she puts
6 your words in.

7 MEMBER RYAN: I'd just like to comment
8 that I think the staff's done a terrific job on bringing
9 this all together and all the speakers today did a nice
10 job in presenting the details. It's clear you've got
11 a good understanding of how things work and I'll look
12 forward to your next briefing. Thank you.

13 CHAIRMAN POWERS: All right. So no
14 further comments, I think we can bring this
15 Subcommittee to a close. We are adjourned.

16 (Whereupon, the above-entitled matter was concluded at 10:34 a.m.)

17

18

19

20

21

22

23

24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701



PSEG Early Site Permit
Advisory Committee on Reactor Safeguards
Subcommittee Meeting
SSAR Section 2.4

June 9, 2015


Chapter 2 – Section 2.4 Hydrologic Engineering

2.4 Hydrologic Engineering

Areas covered in ESP same as for COLA

- RS-002 outlines NRC review approach
- Regulatory Guidance
 - RG 1.27
 - RG 1.29
 - RG 1.59
 - RG 1.102
 - RG 1.206
- NUREG/CR-7046
- NUREG/CR-6966
- QA requirements apply – 10 CFR 50 Appendix B

2.4.1 Hydrologic Description



PSEG Site

- 52 river miles (RM) upstream of the mouth of Delaware Bay.
 - 17 RM downstream of the Delaware Memorial Bridge (RM69)
 - 40 RM southwest of Philadelphia, Pennsylvania (RM 92)
- Head of the Delaware Bay (RM 48)
- Chesapeake and Delaware (C&D) Canal channel entrance (RM 59).


2.4.1 Hydrologic Description



Site grade at SSCs is nominally 10 to 12 ft. NAVD

2.4.1 Hydrologic Description

- Delaware River Basin covers 13,600 square miles (sq. mi.)
- Tidal flow ranges from 400,000 cubic feet per second (cfs) to 472,000 cfs
- Freshwater flow is approximately 15,000 cfs
- Delaware River is the longest undammed river east of the Mississippi River



2.4.2 Floods

Historical records show highest flood events recorded near mouth of Delaware River and within Delaware Bay are caused by storm surge

Events Resulting in Storm Surges in the Delaware River near the PSEG Site

Storm Event	Year	Estimated Storm Surge, ft. ^(a)	
		Reedy Point	Philadelphia
Hurricane of 1878	1878	5 to 8	5 to 8
Chesapeake-Potomac Hurricane	1933	7.7	7.1
Hurricane Hazel	1954	n.a. ^(b)	9.4
Hurricane Connie	1955	n.a. ^(b)	5.0
Hurricane Floyd	1999	2.9	4.0
Hurricane Isabel	2003	5.0	5.4

a) surge above predicted tide

b) n.a. = not available

2.4.2 Floods

Flooding scenarios investigated for the site include:

- Local Intense Precipitation
- PMF on rivers and streams
- Potential dam failures
- Maximum surge and seiche flooding
- Probable maximum tsunami
- Ice effect flooding
- Channel diversions

2.4.2 Floods (Cont.)

Local Intense Precipitation

- NOAA Hydrometeorological Reports
- HEC-HMS is used to simulate the precipitation-runoff processes in watershed systems to determine peak discharge
- The resulting peak flows are used to determine the maximum WSEL resulting from the PMP event
- Analysis can be refined once a technology is selected and site grading and drainage systems are designed
- Site will be designed to ensure PMP event will not cause flooding events or operational problems

2.4.3 Probable Maximum Flood on Streams and Rivers

Methodology and Inputs

- USACE HEC-HMS and HEC-RAS Model developed and validated for the Delaware River System upstream of the PSEG Site
- Two probable maximum precipitation events considered
 - 15,000 sq. mi. storm centered over Doylestown, PA
 - 2150 sq. mi. storm centered over Philadelphia, PA

Results

- Maximum WSEL is 21.0 ft. NAVD due to PMF combined with 10% exceedance high tide, worst regional surge, and wave runup
- PMF at site is not expected to cause flooding events or operational problems

2.4.4 Potential Dam Failures

Methodology and Inputs

- Screening of dams and regional combinations developed for failure scenarios
- Seismic failure of dams assumed for immediate breach
 - Dam failures are sequenced, such that flood waters converged at the DE River at the same time

Results

- Failure of Cannonsville and Pepacton Reservoirs produces greatest WSEL of 0.3 ft. NAVD
- Combined events of 10% exceedance high tide, 500 year flood, and wave runup produces a WSEL of 9.4 ft. NAVD
- Dam failure runup at site is not expected to cause flooding events or operational problems

2.4.6 Probable Maximum Tsunami Flooding

Historical Tsunami Record

- Documented seismic events (Puerto Rico, Lisbon 1755)
- Documented landslide events (Grand Banks, 1929)
- Landslide events in geologic record (Currituck, Cape Fear, other sites along east coast continental margin)
- Volcanic cone collapse events in geologic record (Canary Islands)

Modeling Approach MOST (Method of Splitting Tsunami)

- Solves nonlinear shallow water equations
- Used extensively in tsunami forecasting and inundation studies

Probable Maximum Tsunami events

- La Palma Landslide in Canary Islands
- Hispaniola Trench
- Currituck Landslide

2.4.6 Probable Maximum Tsunami Flooding (Cont.)

La Palma Landslide in Canary Islands

- Usual worst case scenario for most coastal areas in the Northeast
- Impact inside Delaware Bay reduced by refraction of incident waves to areas north and south of bay entrance

Hispaniola Trench

- Largest subduction zone in Atlantic Ocean
- Plausible tsunamigenic region based on geological processes and history of events
- Results show slightly larger impact than La Palma case, with more wave penetration into Bay

2.4.6 Probable Maximum Tsunami Flooding (Cont.)

Currituck Landslide

- Representative of large East Coast slide events found in geological record
- Sensitivity tests show wave conditions in Delaware bay are largely insensitive to shifts in assumed slide location along continental shelf margin
- Represents the PMT event for the PSEG site

Model results:

- All tsunami-generated runups and drawdowns at site are not expected to cause flooding events or operational problems
- Maximum runup with 10% exceedance high tide is 1.15 ft. (5.65 ft. NAVD)
- Maximum drawdown with 90% exceedance low tide is -1.16 ft. (-6.16 ft. NAVD)
- Tsunami-induced velocities at site are not large compared to maximum observed tidal currents

2.4.7 Ice Effects

2.4.7 Ice Effects

- Historical ice jam information review and model simulation of a major historic ice jam event
 - Flooding potential from historic ice jam discharge is elevation 8.1 ft. NAVD
- Intake structure will be designed to address ice effects, including surface ice, frazil ice, and other dynamic forces and blockages associated with ice effects
- Ice effects at site are not expected to cause flooding events or operational problems

2.4.8 Cooling Water Canals and Reservoirs and 2.4.9 Channel Diversions

2.4.8 Cooling Water Canals and Reservoirs

- These features are not present at PSEG Site

2.4.9 Channel Diversions

- Shoreline near PSEG Site is flat and low and neither a seismic nor severe weather event result in a major shoreline collapse

2.4.11 Low Water Considerations

2.4.11 Low Water Considerations

- 20-year low flow conditions with 90% exceedance low tide simulated in HEC-RAS model result in a WSEL of -5.0 ft. NAVD
- Negative surge from hurricane reduces WSEL in vicinity of the PSEG Site by 10.9 ft.
- Coincident with a 20-year low flow in the Delaware River at Trenton and 90% exceedance low tide, WSEL could be as low as -15.9 ft. NAVD
- A safety-related intake structure designed to operate during low water conditions identified
- Low water conditions at site are not expected to cause operational problems

Chapter 2 – Section 2.4.5 Probable Maximum Surge and Seiche Flooding

2.4.5 Probable Maximum Surge and Seiche Flooding

Probable Maximum Hurricane (PMH) Storm Meteorological Parameters based on NWS 23

- Central pressure, $P_0 = 26.65$ inches of mercury (Hg)
- Pressure drop, $\Delta P = 3.5$ in. of Hg
- Radius of maximum winds, $R =$ from 11 to 28 nautical miles (NM)
- Forward speed, $T =$ from 26 to 42 knots (kt)
- Coefficient related to density of air, $K = 68$
- Track direction, from 138 degrees (moving northwest)


PSEG ESPA Storm Surge Screening

- Modeled with Bodine storm surge method
- Coupled with HEC-RAS; Kamphuis wind setup method; and Coastal Engineering Manual wave runup method
- Parameters Resulting from Screening: $R = 28$ NM; $T = 26$ kt
- Produces total Water Surface Elevation (WSEL) of 42.4 ft. NAVD

2.4.5 Probable Maximum Surge and Seiche Flooding (Cont.)

PSEG developed a high resolution 2-D storm surge model (ADCIRC+SWAN) to support development of the response to RAI No. 67

- 2-D models are recognized as a more accurate storm surge modeling tool
- FEMA Region III coastal flood study



2.4.5 Probable Maximum Surge and Seiche Flooding (Cont.)

Use high resolution
ADCIRC+SWAN
Model to determine
total design basis
WSEL for the
selected PMH storm


Finite element
mesh refined at
project site



2.4.5 Probable Maximum Surge and Seiche Flooding (Cont.)

Wave runup determined using
USACE Coastal Engineering
Manual (CEM) Methodologies

Output from ADCIRC+SWAN
Model evaluated at four points
around powerblock



2.4.5 Probable Maximum Surge and Seiche Flooding (Cont.)

PMH Maximum Total Water Surface Elevation

- 2-D ADCIRC+SWAN Model Results:
 - Antecedent Water Level 1.35 ft.
 - Maximum Still Water Level 20.2 ft. NAVD
 - Wave Runup 7.4 ft.
 - 10% Exceedance High Tide 4.5 ft.
 - Maximum Total Water Surface Elevation 32.1 ft. NAVD

Design Basis Flood Total WSEL is 32.1 ft. NAVD

2.4.10 Flooding Protection Requirements

2.4.10 Flooding Protection Requirements

- All safety-related SSC (with exception of intake structure) for new plant will be constructed at least one foot higher than DBF
- New plant site grade is established at 36.9 ft. NAVD. This meets requirements of a dry site as defined in NRC RG 1.102
- Riprap protection will be provided on the slopes of the site to provide protection from wave runup

Section 2.4.12 Groundwater and
Section 2.4.13 Accidental Release of
Radioactive Liquid Effluents

2.4.12 Groundwater

Regional Hydrogeology and Groundwater Use

- Regional hydrogeologic units are characterized as permeable coarse-grained materials separated by less permeable fine-grained materials within NJ Coastal Plain
- PSEG Site lies outside two Critical Water-Supply Management Areas designated in NJ
- PRM aquifer system (about 400 to over 1000 ft. below grade) provides majority of potable water for region and PSEG site
- Nearest off-site public water supply well is located more than 3.5 miles west of PSEG Site, across Delaware River, in DE

2.4.12 Groundwater (Cont.)

Regional Hydrogeology- Hydrostratigraphic Classification

Site Stratigraphic Unit	Hydrogeological Characteristics
Artificial & Hydraulic Fill	Leaky confining units.
Alluvium	Upper portion is a water-bearing zone; lower silts and clays, when present, act as a leaky confining unit.
Kirkwood Formation (upper)	Leaky confining unit.
Kirkwood Formation (lower)	Water-bearing zone; part of the Vincentown Aquifer.
Vincentown Formation	Water-bearing zone.
Hornerstown Formation (upper)	Upper portion is a water-bearing zone and part of the Vincentown Aquifer.
Hornerstown Formation (lower)	Lower portion, along with the Navesink Formation act as a leaky confining unit.
Navesink Formation	Leaky confining unit.
Mount Laurel Formation	Water-bearing zone, with the Wenonah Formation comprises the Wenonah-Mt. Laurel Aquifer.
Wenonah Formation	Water-bearing zone.
Marshalltown Formation	Confining unit.
Englishtown Formation	Water-bearing zone.
Woodbury Formation	Confining unit.
Merchantville Formation	Confining unit.
Magothy Formation	Water-bearing zone.
Raritan Formation	Confining unit.
Potomac Formation	Water Bearing Unit.

2.4.12 Groundwater (Cont.)

Local Hydrogeology and Groundwater Use

- The deeper PRM aquifer has sufficient capacity to provide potable groundwater to support new plant construction and future operations without inducing saline intrusion
- Investigations characterized shallower hydrogeologic units at new plant location to support construction and accidental release evaluations
- Shallow aquifers in vicinity of site are saline and tidally-influenced and not potable water sources
- In new plant area, predominant groundwater flow direction in shallower units (Alluvium and Vincentown aquifers) is westerly toward Delaware River

2.4.12 Groundwater (Cont.)

Local Hydrogeology

Average Groundwater Elevations (ft. NAVD) in Alluvium



2.4.12 Groundwater (Cont.)

Site Groundwater Modeling

- Site-wide groundwater model developed, based on the PPE, to assess:
 - Dewatering requirements during construction
 - Effects of dewatering on shallow aquifers
 - Post-construction hydrostatic loading
- Site Groundwater modeling results:
 - Dewatering requirements consistent with HCGS construction
 - Groundwater levels in the shallow aquifer will return to a natural condition, which will be only slightly higher than preconstruction
 - Local mounding in shallow aquifers is possible due to soil retention wall placement
- Groundwater model will be refined once a reactor technology has been selected


2.4.13 Accidental Release of Radioactive Liquid Effluents in Groundwater and Surface Water

Accidental Release in Groundwater

- Two accidental release locations are hypothesized at the edge of Power Block:
 - At western edge of Power Block assuming migration west toward the Delaware River
 - At northeast corner of Power Block, assuming migration northeast toward a Delaware River tributary named Fishing Creek
- Conservative hydrogeologic parameter values are used in the evaluation, as are minimum distances to two potential receptor locations
- Shortest transport pathway is taken as through shallowest unit (Alluvium)

2.4.13 Accidental Release of Radioactive Liquid Effluents in Groundwater and Surface Water (Cont.)

Accidental Release in Groundwater – Hypothetical Flow Paths



Accidental Release in Groundwater

- Exposure point concentrations compared to Effluent Concentration Levels (ECLs) defined in 10 CFR Part 20
- Assuming maximum groundwater velocities, and solely advective transport with decay, some radionuclides would exceed ECLs for each release scenario
- Factoring in dilution results in levels up to several orders of magnitude below ECLs and Unity Rule is met for each release scenario

Accidental Release to Surface Water

- No potable surface water bodies located downgradient of the PSEG Site
- Outdoor tanks containing radionuclides will have secondary containment to prevent catastrophic release of liquid effluent directly to surface water
- Controlled release points will be established for systems that could be in contact with radioactive liquids to prevent unmonitored discharges to surface water



Presentation to the ACRS Subcommittee

Safety Review of the PSEG Site Early Site Permit Application

Presented by

Prosanta Chowdhury, Project Manager

NRO/DNRL/LB1

June 9, 2015

Purpose

- Brief the Subcommittee on the status of the staff's safety review of the PSEG Site early site permit (ESP) application
- Support the Subcommittee's review of the application and subsequent interim letter from the ACRS to the Commission
- Address the Subcommittee's questions

Meeting Agenda

- Introduction, Schedule Milestones, Status of Safety Evaluations (SEs)
- Key Review Area:
 - ♦ Hydrologic Engineering
- Advanced Safety Evaluation (ASE) with no Open Items (OIs) Conclusions
- Presentation Conclusions
- Summary of Safety Evaluations
- Discussion / Questions

PSEG Site ESP Application

- ESP applicants: PSEG Power, LLC and PSEG Nuclear, LLC (PSEG)
- Proposed ESP Site located in Lower Alloways Creek Township, Salem County, NJ (30 miles southwest of Philadelphia, PA, 7.5 miles southwest of Salem, NJ)
- Located on the upper Delaware Bay adjacent to and north of Hope Creek Generating Station (HCGS). The two-unit Salem Generating Station (SGS) is co-located on this site to the south of HCGS

PSEG Site ESP Application

- PSEG developed Plant Parameter Envelope (PPE) using 1-Unit U.S. EPR, 1-Unit ABWR, 1-Unit US-APWR, and 2-Unit Passive AP1000
- PSEG requests permit approval for a 20-year term
- PSEG does not seek approval for limited work authorization (LWA) activities
- PSEG seeks approval for complete and integrated emergency plans with ITAAC as part of ESP

Schedule Milestones

Completed

- PSEG Site ESP Application Received - 5/25/2010
- Acceptance Review Completed - 8/4/2010
- **Phase A** - RAIs Issued - 9/2013
- **Phase B** - Advanced Safety Evaluation (SE) with no Open Items Issued – 5/2015
- Chapters **Presented to ACRS** on March 19, 2014 -
 - ♦ 3.5.1.6, 11.2&11.3 (combined), 13.3, 15.0.3, 17.5
- Chapters **Presented to ACRS** on Sept. 29 & 30, 2014 -
 - ♦ 2.1&2.2 (combined), 2.3, 2.5
- Chapter 20 (Fukushima) points to other SEs where applicable Fukushima NTTF recommendations are evaluated

Schedule Milestones

Remaining

- Chapter 2.4 (Hydrologic Engineering) - Being Presented to ACRS Today (June 9, 2015)
- ACRS Full Committee Meeting - Scheduled for June 10, 2015
- **Phase C** - ACRS Meetings - Completion by 07/31/2015
- **Phase D** - Final Safety Evaluation Report (FSER) - Completion by 09/30/2015

Inspections / Site Visits/ Audits

- Inspections / Site Visits/ Audits:
 - ♦ Pre-application Site Visit – 1/2008
 - ♦ Emergency Planning Site Visit - 5/2010
 - ♦ Hydrologic Engineering Site Visit and Audit - 2/2011
 - ♦ Quality Assurance Audit - 5, 6/2011
 - ♦ Geology Site Visit and Audit - 9/2011
 - ♦ Meteorology Site Visit - 5/2012
 - ♦ Seismic Software Audit – 9/2013

Acronyms


- ANS/ANSII – American Nuclear Society / American National Standards Institute
- COL – Combined License
- CP – Construction Permit
- DC – Design Certification
- ESP – Early Site Permit
- HCGS – Hope Creek generating Station
- NAVD88 – North American Vertical Datum 1988
- NJDEP – New Jersey Department of Environmental Protection
- PPE – Plant Parameter Envelope
- SER – Safety Evaluation Report
- SGC – Salem Generating Station
- SSAR – Site Safety Analysis Report
- SSC – Structures, Systems, and Components
- USACE – United States Army Corps of Engineers

Key Review Area

Chapter 2, Section 2.4 “Hydrologic Engineering” (ASE Issued April 22, 2015; ADAMS Accession No. ML13211A144)

Principal Contributors


Joseph Giacinto, PG
Henry Jones, Ph.D.



PSEG Site - Regional Setting.

Background

- Hydrologic engineering staff conducted a visit at the PSEG site February 2011
 - ♦ Topics included site setting, hydrologic site characteristics and associated document reviews
- Staff coordinated review with state and federal agencies
 - ♦ NJDEP, USGS (surface water / tsunami), USACE, NOAA
- Performed independent review and confirmatory analyses as explained in upcoming slides



Proposed PSEG Site Layout (from SSAR Rev 0 Figure 1.2-3).

Overview

- PSEG ESP Site located on eastern shore of lower Delaware River / upper Delaware Bay
- Approximately 13,600 mi² watershed
- Tidal flow dominates fresh water flow at the Site
 - ♦ Wide & open connection to Atlantic
- Existing site grade 5-15 ft
- Proposed site grade 36.9 ft
- Storm surge is DBF determining event at 32.1 ft



Looking north over Salem/Hope Creek.

Flood Analysis Summary

– Local Intense Precipitation

- Site drainage design dependent on reactor technology selected
- Local intense precipitation review deferred to COL stage
 - ♦ **COL Action Item 2.4-1:**

COL or Construction Permit (CP) applicant referencing this ESP should design the site grading to provide flooding protection to safety-related structures at the ESP site based on a comprehensive flood water routing analysis for a local PMP event without relying on any active surface drainage systems that may be blocked during this event.

Flood Analysis Summary

– Probable Maximum Flood

- **Probable maximum flood (PMF) 21.0 ft per ANSI/ANS-2.8-1992 combinatory events**
 - ♦ Probable maximum precipitation
 - ♦ Runoff and infiltration conservatively estimated
 - ♦ Surge/seiche from worst regional historical hurricane and 10 percent exceedance high tide
- **Results**
 - ♦ Maximum calculated riverine water level 15.9 ft below proposed site grade

Probable Maximum Surge and Seiche

- Initial screening method (1D with wind model)
 - ♦ Results extremely conservative (42.4 ft NAVD88)
- Moved to current best practice approach
 - ♦ Physics-based 2D model added realism / incorporated conservatism
 - ♦ Resulting design basis flood (DBF) 32.1 ft NAVD88

100-yr Sea Level Rise¹ (ft)	1.35 ft
Ten Percent Astronomical High Tide² (ft)	4.5 ft
Maximum Still Water Level (ft-NAVD88)	20.2 ft
Wave Runup² (ft)	7.4 ft
Maximum Total Water Surface Elevation (ft. NAVD88)	32.1 ft

¹Added prior to model simulation for initial sea level

²Added after model simulation to maximum still water level at site

Flood Protection


- Intake Structure

- Site grade of 36.9 ft
- DBF of 32.1 ft
- Sufficient margin for safety related site grade SSCs
- Intake structure design and associated flood protection considered at COL stage
 - ♦ **COL Action Item 2.4-2:**

COL or CP applicant referencing this ESP should address whether the intake structure of the selected design is a safety-related SSC. If so, the applicant should address necessary flooding protection for a safety-related intake structure at the ESP site based on the design basis flooding event and associated effects.

Groundwater

- **Proposed site grade 36.9 ft**
 - ♦ Maximum groundwater level 10 ft
- **Monitoring program implemented during construction and operation**
 - ♦ **COL Action Item 2.4-3:**
COL or CP applicant referencing this ESP should refine hydrogeologic parameters and model estimates of dewatering rates and drawdowns beneath existing site structures after determination of the final excavation geometry consistent with a selected reactor technology.




PSEG Site September 2009 Potentiometric Contours.
(from SSAR Rev 0, Figure 2.4.12-4).

Plant Parameter Envelope

- Site parameters

Technology	Max Flood Level (ft below grade)	Max Groundwater Level (ft below grade)
U.S. EPR	1.0	3.3
ABWR	1.0	2.0
APWR	1.0	1.0
AP1000	0.0	2.0

Water Levels and PSEG ESP Site Grade



Accidental Releases of Radioactive Liquid Effluents

- Scenarios account for potential post-construction flow directions:
 - ♦ Delaware River towards west
 - ♦ Marshland towards northeast
- Incorporated bounding PPE and conservative hydrologic characteristics
- Results
 - ♦ Concentration of each radionuclide is less than associated limit in 10 CFR 20.
 - ♦ Sum of the ratios (predicted concentration vs. 10 CFR 20 limit) for all radionuclides in the mixture is less than unity

SE Conclusions

- Conclusions from the Hydrologic Engineering review:

The applicant has provided sufficient information about the site description, satisfied the requirements, and considered the most severe natural phenomena that have been historically reported for the site and surrounding area and appropriately estimated the design-basis flood (DBF) elevation.

Presentation Conclusions

- ASER defers general regulatory conclusion regarding site safety and suitability to FSER in Phase D
- ASE with no Open Items on Chapter 2, Section 2.4 –
 - Contains no permit conditions
 - Contains three (3) Action Items to be addressed by a COL or CP applicant referencing the PSEG Site Early Site Permit
- Summary of Safety Evaluations
- Next Interaction with ACRS – June 10, 2015