

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: Oral Arguments In the Matter of Interim Storage Partners, LLC

Docket Number: 72-1050-ISFSI

Location: Midland, Texas

Date: July 10, 2019

Work Order No.: NRC-0430

Pages 1-207

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ATOMIC SAFETY AND LICENSING BOARD PANEL

+ + + + +

ORAL ARGUMENTS

-----x

In the Matter of: : Docket No.  
INTERIM STORAGE : 72-1050-ISFSI  
PARTNERS LLC : ASLBP No.  
(WCS Consolidated : 19-959-01-ISFSI-BD01  
Interim Storage :  
Facility) :

-----x

Wednesday, July 10, 2019

Commissioner's Courtroom  
Midland County Courthouse  
500 N. Loraine Street  
Midland, Texas

BEFORE:

PAUL S. RYERSON, Chair  
NICHOLAS G. TRIKOUROS, Administrative Judge  
DR. GARY S. ARNOLD, Administrative Judge

## 1 APPEARANCES:

3 Counsel for the Applicant

4 Timothy Matthews, Esq.

5 Ryan Lighty, Esq.

6 Paul Bessette, Esq.

7 of: Morgan, Lewis &amp; Bockius, LLC

8 Washington, DC 20004

9 timothy.matthews@morganlewis.com

10 ryan.lighty@morganlewis.com

11 paul.bessette@morganlewis.com

12

13

14

15

16

17

18

19

20

21

22

23

24

25

On Behalf of the Nuclear Regulatory Commission

Joe Gillespie, Esq.

Sara Kirkwood, Esq.

Thomas Steinfeldt

Alana Wase, Esq.

of: U.S. Nuclear Regulatory Commission

Office of the General Counsel

Mail Stop O-14A44

Washington, DC 20555-0001

301-287-9111

joe.gillespie@nrc.gov

sara.kirkwood@nrc.gov

thomas.steinfeldt@nrc.gov

alana.wase@nrc.gov

ALSO PRESENT FOR NRC:

John-Chau Nguyen

James Park

John McKirgan

Christopher Regan

On Behalf of Beyond Nuclear

Diane Curran, Esq.

of: Harmon, Curran, Spielberg and Eisenberg

1725 DeSales Street, NW, Suite 500

Washington, DC 20036

dcurran@harmoncurran.com

Mindy Goldstein, Esq.

of: Emory University School of Law

Turner Environmental Law Clinic

1301 Clifton Road

Atlanta, Georgia 30322

magolds@emory.edu

On Behalf of Fasken Land and Oil and

Permian Basin Land and Royalty Owners

Robert V. Eye, Esq.

Timothy Laughlin

of: Robert V. Eye Law Office, LLC

4840 Bob Billings Parkway, Suite 1010

Lawrence, Kansas 66049

bob@kauffmaneye.com

tijay1300@gmail.com

On behalf of Sierra Club

Wallace Taylor

4403 1st Avenue, SE, Suite 402

Cedar Rapids, Iowa 52402

wtaylorlaw@aol.com

On behalf of Joint Petitioners

Don't Waste Michigan

Citizens Environmental Coalition

Citizens for Alternatives to Chemical

Contamination

Nuclear Energy Information Service

Public Citizen, Inc.

San Luis Obispo Mothers for Peace

Sustainable Energy and Economic

Development Coalition

Leona Morgan

Terry Lodge, Esq.

316 N. Michigan Street, Suite 520

Toledo, Ohio 43604

tjlodge50@yahoo.com

## P R O C E E D I N G S

8:30 a.m.

JUDGE RYERSON: Well, again welcome. Welcome again. We're here on the matter of an application by Interim Storage Partners, LLC, which we'll generally call ISP, if that's okay with the Applicant. And ISP's application is for a license from the Nuclear Regulatory Commission to construct and operate an interim storage facility for nuclear waste in Andrews County, Texas.

I'm Judge Ryerson. I'm trained as a lawyer. I chair the Atomic Safety and Licensing Board that the NRC has assigned to this particular proceeding.

On my right is Judge Arnold. Judge Arnold is a nuclear engineer. Dr. Arnold is a nuclear engineer. And on my left is Judge Trikouros, who's also a nuclear engineer.

At the outset, I very much want to thank the county commissioners and particularly Commissioner Prude who extended an offer to us to use this facility today so that we could be much closer than Rockville, Maryland, to the affected population by this application. I want to thank everyone in the courtroom, staff, for assisting us here. We very much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 appreciate their hospitality.

2 Today's proceeding concerns four requests  
3 for an evidentiary hearing on ISP's application that  
4 have been filed by a variety of different petitioners,  
5 and I think we'll list them by name when we get to the  
6 appearances of counsel.

7 But before that, I'd like to summarize how  
8 we intend to proceed today. I think most of this was  
9 set forth in the order we issued on June 7, but for  
10 the benefit of everyone who's here, this is how we're  
11 going to move forward.

12 Our purpose is a limited one today. It's  
13 not to take appearances from the public and hear from  
14 local governments or anything like that today.  
15 Today's purpose is to hear arguments from the lawyers  
16 who have filed petitions opposing the application and  
17 from the lawyers for the Applicant and also lawyers  
18 for the NRC staff on the sufficiency, the legal  
19 sufficiency, of the petitions that have been filed in  
20 opposition to ISP's application.

21 And our purpose is to determine whether  
22 they have satisfied the NRC's legal requirements for  
23 proceeding to essentially the next phase of an  
24 adjudicatory proceeding, which would be in most cases  
25 an evidentiary hearing. And if there were such a



1 hearing, it would take place at a later time.

2 All members of the Board, I know, have  
3 read the petitioners' and all the parties' pleadings  
4 which total literally several hundred pages, and as it  
5 turns out, the same three judges constituted a board  
6 that heard arguments in an arguably similar  
7 proceeding, a similar application, in New Mexico,  
8 maybe all of 40 miles from here for an interim storage  
9 site in the state of New Mexico.

10 But even though the sites are fairly  
11 close, they are not the same. The applications are  
12 certainly not the same. And so what we'd like to do  
13 starting today as the first order of business is to  
14 address the participants' views of how these  
15 applications differ.

16 And so unlike our usual practice of  
17 basically getting to the judges' questions right  
18 away -- we may have some questions to interrupt your  
19 presentations, but we'd like to start with longer than  
20 usual presentations by the participants' counsel,  
21 encouraging you to focus on how you -- what you see as  
22 the significant differences between the Holtec  
23 application in New Mexico and the ISP application here  
24 in Texas.

25 After -- we're going to allow up to 45

1 minutes for each participant -- each petitioner to  
2 address that issue. And then after we hear from the  
3 petitioners, we'll allow an equal time for ISP, and  
4 then we will allow some time -- we have been fortunate  
5 in the past that the NRC staff is usually quite crisp  
6 and responsive in its comments, so we will not put a  
7 time limit on them, but I imagine their comments will  
8 be considerably less than 45 minutes.

9 Again, we may have some questions during  
10 this phase, but this first phase of the proceeding is  
11 primarily for the participants to address these issues  
12 of how these somewhat similar cases may, in fact,  
13 differ.

14 Tomorrow, we will have -- tomorrow or  
15 later today, as it turns out, we will have more  
16 focused questions from the Board to various  
17 participants, and I think we might as well talk then  
18 at that time about what the best rules would be to  
19 proceed with that phase.

20 Let me talk a little bit before we begin  
21 or take appearances about logistical matters. Please  
22 silence your cell phones, if anyone has a cell phone  
23 on.

24 While we're grateful for the County's  
25 hospitality, we have provided water ourselves for

1 everyone, so feel free to find a bottle of water --  
2 when I say, everyone -- I'm sorry -- I mean the  
3 counsel for the participants, not the entire audience,  
4 but we have provided, I hope, enough water even to  
5 deal with the temperature that we're enjoying here in  
6 West Texas in July.

7 We'll take at least one short break in the  
8 morning, maybe two and try to do the same in the  
9 afternoon. We will probably stop at a convenient  
10 opportunity around noon for lunch, and I don't believe  
11 there's a cafeteria in this building, so we'll  
12 probably allow at least 90 minutes so people can get  
13 out and get some lunch if they so choose and also make  
14 it back in time through the security here in order to  
15 begin an afternoon session.

16 I'd like to finish by five o'clock today.  
17 I don't know if we'll have to go to a second day. My  
18 guess is that we will, but if we could finish today,  
19 we will certainly do that. But my guess is that we  
20 will need at least part of the day tomorrow.

21 So before we take appearances, any  
22 other -- my other judges, members of the Board, have  
23 any comments? Judge Trikouros?

24 JUDGE TRIKOUROS: No.

25 JUDGE RYERSON: Judge Arnold? Okay.

1 Well, let's go through the four petitioners first, and  
2 ask you to introduce yourselves. Also if you have any  
3 questions about how we're proceeding today, this would  
4 be a good time to ask those. So starting with Beyond  
5 Nuclear --

6 MS. CURRAN: Good morning. My name is  
7 Diane Curran. I am appearing on behalf of Beyond  
8 Nuclear, and with me this morning is Mindy Goldstein,  
9 my co-counsel of the Turner Environmental Law Clinic.  
10 And we're the only petitioners' counsel sitting by a  
11 mike, so maybe I'll stand up -- or maybe they can go  
12 to --

13 JUDGE RYERSON: Oh, do we have a small  
14 mike? I'm not sure that will work for the reporter.  
15 The reporter needs to be able to record everything as  
16 well, so let's see how that works.

17 So next we would go to the Sierra Club.  
18 And welcome to you, Ms. Curran.

19 MS. CURRAN: Thank you.

20 JUDGE RYERSON: And Ms. Goldstein.

21 MR. TAYLOR: Wallace Taylor for the Sierra  
22 Club. I do have a procedural question.

23 JUDGE RYERSON: Yes, sir.

24 MR. TAYLOR: You said 45 minutes for the  
25 Applicants. Is that their total, or 45 minutes for

1 each of the --

2 JUDGE RYERSON: No. What I said was 45  
3 minutes for each petitioner.

4 MR. TAYLOR: Right.

5 JUDGE RYERSON: And then the Applicant  
6 will have an equal time. If, for example, Ms.  
7 Curran -- and she doesn't have to take less than 45  
8 minutes, but she has one contention, and one might  
9 even say it's more of a generic issue than a site-  
10 specific issue. I don't know. She'll tell us that.  
11 She takes ten minutes. I don't think ISP will want 45  
12 minutes, but they're certainly not going to get 45  
13 minutes. But then it will be each time. Yes. They  
14 get to respond to each petitioner. Each time after  
15 ISP responds, then the NRC staff, if it wishes may  
16 make a comment or two as well.

17 MR. TAYLOR: Thank you.

18 JUDGE RYERSON: Thank you. And welcome to  
19 you, Mr. Taylor.

20 And next we have what we're going to call  
21 Joint Petitioners. There are seven or eight of them,  
22 I think, and let me list them first and see if I get  
23 them correct before you introduce yourself, Mr. Lodge.

24 We have Don't Waste Michigan, Citizens  
25 Environmental Coalition, Citizens for Alternatives to

1 Chemical Contamination, Nuclear Energy Information  
2 Service, Public Citizen, Inc.; San Luis Obispo Mothers  
3 for Peace; Sustainable Energy and Economic Development  
4 Coalition, which we might abbreviate as SEED, I think,  
5 if we talk about them individually; and then one  
6 individual, Leona Morgan. Do I have it correct, sir?

7 MR. LODGE: You have it correct, sir.

8 JUDGE RYERSON: Thank you.

9 MR. LODGE: I'm Terry Lodge, and I  
10 represent all of those organizations and people.

11 JUDGE RYERSON: Okay.

12 MR. LODGE: Thank you.

13 JUDGE RYERSON: Thank you, Mr. Taylor.  
14 Welcome to you.

15 And then we have two organizations, Fasken  
16 Land and Minerals, and also the Permian Basin Land and  
17 Royalty Organization, of which, I believe, Fasken  
18 would be a member -- is a member. And who is speaking  
19 for Fasken?

20 MR. EYE: Good morning. My name is Robert  
21 Eye. I represent Fasken and PBLRO, along with my  
22 co-counsel, Timothy Laughlin.

23 JUDGE RYERSON: Thank you. Welcome to  
24 you.

25 JUDGE RYERSON: Next to the Applicant,

1 Interim Storage Partners, LLC.

2 MR. MATTHEWS: Good morning, members of  
3 the Board. My name's Tim Matthews from Morgan, Lewis  
4 & Bockius. I appear today on behalf of the Applicant,  
5 Interim Storage Partners. With me at counsel table  
6 today are my colleagues, Paul Bessette and Ryan  
7 Lighty. I also have with us members of the  
8 Applicant's staff, the joint venture partners of  
9 Interim Storage Partners, Orano and Waste Control  
10 Specialists.

11 I have Jeff Isakson, the president and CEO  
12 of Interim Storage Partners; Elicia Sanchez, the  
13 senior vice president of Waste Control Specialists;  
14 Jack Boshoven, the chief engineer and manager of  
15 engineering and licensing for the NRC project. I have  
16 Jenny Caldwell, Waste Control Specialists geologist;  
17 and Ben Mason, WCS's chief engineer, to assist us.

18 JUDGE RYERSON: Okay. Thank you, and  
19 welcome to all of you, and -- pardon me.

20 MR. MATTHEWS: I did have one question.

21 JUDGE RYERSON: Yes, sir.

22 MR. MATTHEWS: With respect to the record  
23 in the proceeding, the application for 72-1051 is not  
24 part of the record in this proceeding. We understood  
25 the Board's order, recognizing the similarity and the

1 contentions between the two proceedings, and the  
2 pleadings.

3 Applicant has looked at those and the  
4 Board's order in LBP 19-4, and we are prepared to  
5 respond to how the contentions as pled are similar or  
6 different here, and how they would apply or not apply  
7 to the ISP application in docket 72-1050. But we  
8 wanted to make sure that we understand correctly that  
9 the Board does not intend to incorporate the record  
10 from 72-1051 into this proceeding.

11 JUDGE RYERSON: That is correct. That is  
12 correct. I mean, the decision in that case is a  
13 matter of public record clearly, but we're not  
14 incorporating that proceeding into this.

15 NRC staff.

16 MS. KIRKWOOD: Sara Kirkwood for the NRC  
17 staff, and I'm accompanied by my co-counsel, Alana  
18 Wase, Joe Gillespie, and Thomas Steinfeldt. I also  
19 have several members of the NRC staff with me.

20 I have project manager John-Chau Nguyen  
21 and safety project manager/environmental project  
22 manager Jim Park. I have branch chief John McKirgan  
23 and Christopher Regan who's the deputy director for  
24 the Division of Spent Fuel Management.

25 JUDGE RYERSON: Thank you, Ms. Kirkwood,



1 and welcome to you.

2 MS. KIRKWOOD: My only question is: Would  
3 it be possible for that smaller microphone to come at  
4 our table? Can you hear this?

5 JUDGE RYERSON: No.

6 JUDGE ARNOLD: That's the microphone for  
7 the court reporter.

8 JUDGE RYERSON: Okay. Yes. I -- before  
9 we begin with the presentations, I should have  
10 mentioned, too. For the benefit of the court  
11 reporter, we can hear you very easily, I think, but  
12 the court reporter is recording this, and so it is  
13 very helpful if you speak fairly close to a  
14 microphone.

15 VOICE: The audience cannot hear well, so  
16 if everyone could please speak in a microphone, it  
17 would be very much appreciated.

18 JUDGE RYERSON: Okay. Thank you for that  
19 comment. Yes. All right. We were not aware -- can  
20 everyone hear me in a normal voice towards the back?

21 VOICE: It's not bad.

22 JUDGE RYERSON: All right. If anyone  
23 can't hear me, raise your hand. Right.

24 (General laughter.)

25 JUDGE RYERSON: All right. We will try to

1 be as clear and reasonably loud as possible. And,  
2 again, everybody can get as close to the microphone as  
3 possible. Does that work better? Sounds to me like  
4 it works better.

5 VOICES: Yes.

6 JUDGE RYERSON: Yes. Okay. Great.

7 All right. Any further comments? Judge  
8 Arnold? Judge Trikouros?

9 Let's begin with Ms. -- Ms. Curran will be  
10 beginning, I assume, for Beyond Nuclear.

11 MS. CURRAN: Good morning again. Thank  
12 you very much for the opportunity to address the  
13 admissibility of Beyond Nuclear's contention and our  
14 standing.

15 Regarding admissibility, there is no  
16 significant difference between the violations of the  
17 Nuclear Waste Policy Act and Administrative Procedure  
18 Act set forth in our contention in the Holtec  
19 proceeding and our contention in this proceeding.

20 As we have demonstrated previously, to  
21 approve or even consider a license application with  
22 knowledge that it contains provisions that would allow  
23 illegal conduct under the Nuclear Waste Policy Act  
24 violates the APA. We are not going to repeat all the  
25 arguments we made about those points before, but there

1 is new information that we could have not addressed in  
2 t h e H o l t e c p r o c e e d i n g .

3 And the first is, of course, the Holtec decision  
4 that was issued by this panel in May.

5 The second is that the fact that the  
6 existence of two similar cases raising the same legal  
7 issues establishes a pattern, and we want to address  
8 the significance of that pattern.

9 So first to LBP 19-04, your decision. In  
10 that decision, this Board found that no harm would be  
11 caused by considering and potentially approving a  
12 license application that contained illegal provisions,  
13 because both the Department of Energy and the license  
14 applicant, in that case, Holtec, could be trusted to  
15 follow the law. They simply would not implement or  
16 act upon an illegal license application or license if  
17 it was granted.

18 But shouldn't that reasoning apply to NRC  
19 in the first instance? Why is there no presumption  
20 that the NRC would not entertain or approve a license  
21 application that contains illegal provisions? Why  
22 doesn't the presumption that an agency will act in  
23 accordance with the law apply to the NRC?

24 We'd like to assert here that it does.  
25 The NRC cannot avoid its own obligation to act in

1 accordance with the law by saying that down the road,  
2 whoever is allowed -- whoever is granted the license  
3 that would allow, you know -- technically, legally  
4 allow that violation won't do it. The buck must stop  
5 with the NRC. Indeed, the APA requires it.

6 And in the case of the license applicant,  
7 whether Holtec or ISP, why should it be necessary or  
8 appropriate to assume that they will not implement an  
9 unlawful license provision? We should never have to  
10 get to that point.

11 Here we are at the point where the NRC has  
12 been asked to say and must say, under the APA, we will  
13 not take action that violates the law. The APA simply  
14 requires that federal agencies must follow the law.

15 To hold that illegal license provisions  
16 are acceptable because a private licensee may be  
17 trusted not to implement them is completely  
18 inconsistent with the APA, and it affronts the dignity  
19 of the APA-based licensing process by turning  
20 licensing into a gentlemen's agreement, made with a  
21 wink and a nod to the actual law but not conformance.

22 Most seriously, approving illegal  
23 provisions on the ground that they may sometime and  
24 somehow become legal in the future has two detrimental  
25 effects on the integrity of the NRC's licensing

1 process.

2 First, it turns the licensing process into  
3 a guessing game. Participants in a hearing process  
4 are asked to assume that the law may change in the  
5 future, without knowing exactly how that might be. In  
6 order to challenge the license application, they must,  
7 without knowing what the future holds, challenge with  
8 specificity -- that's an NRC requirement. They must  
9 challenge with specificity the license application.

10 That puts participants in the position of  
11 doing the impossible. A hypothetical cannot be  
12 challenged for lack of veracity or reliability or  
13 support for the very reason that it's hypothetical.  
14 In other words, the Holtec decision puts petitioners  
15 like Beyond Nuclear in the impossible position of  
16 challenging hypothetical, of meeting -- of having to  
17 satisfy NRC procedural requirements, requiring great  
18 precision in pleading that address an application that  
19 has no such precision. And that really turns the NRC  
20 licensing process on its head.

21 The second point I want to make about  
22 admissibility relates to the pattern here. The Holtec  
23 application wasn't a one-off, and I heard Judge  
24 Ryerson say at the very beginning, Again, welcome.  
25 We're in a pattern that's happened again. It's not

1 just one time that one license applicant has a  
2 hypothetical in their application. This is something  
3 that now is -- could be said perhaps to be regular.

4 We think it's a Pandora's box that this  
5 licensing board has opened. In both of these cases,  
6 we now have circumstances requiring local citizens to  
7 muster their resources, to challenge an application  
8 that is based on future changes to the law that may  
9 never happen. Who knows how many more hypotheticals  
10 the industry may dream up out of their eagerness to  
11 get a business advantage by becoming the first in  
12 line, so that their position to have the license in  
13 hand after the law -- just in the law should change  
14 the way they want it to change?

15 Allowing such hypothetical applications to  
16 be considered and approved is an incredible waste of  
17 the NRC's and the public's limited resources.

18 JUDGE RYERSON: Ms. Curran, if I can just  
19 stop you there for a moment, I think where we may  
20 differ is on your statement that this is an  
21 application based on changes in the law.

22 MS. CURRAN: Uh-huh.

23 JUDGE RYERSON: I think one can fairly  
24 read the Holtec decision as saying -- at least I think  
25 this is what we tried to say, is that when you look at

1 the record as developed in that adjudicatory  
2 proceeding, it is clear that what the NRC is saying is  
3 that if a license is granted, it would be a license to  
4 engage in lawful sales, and that might change in the  
5 future the scope of lawful sales.

6 I suppose a state could have a 21-year-old  
7 drinking age and change it to 18. But that doesn't  
8 mean normally, I think, that everyone who has a liquor  
9 license has to go out and get a new liquor license to  
10 sell to people between 18 and 21, that the thrust of  
11 the application is to sell to all lawful applicants,  
12 of which there are -- customers, rather, of which  
13 there are potentially two kinds.

14 There would be utilities themselves or to  
15 sell interim storage to DOE, if that were lawful, if  
16 that becomes lawful, which, as you know, is a  
17 realistic possibility. We're not saying it has to  
18 happen, and as far as I can tell, the application does  
19 not purport, at least, to be dependent on that. But  
20 there's certainly a possibility that DOE -- Congress  
21 could make DOE a lawful customer here.

22 So do you have a response to that view?

23 MS. CURRAN: Yes. Well, I can't imagine  
24 that in, say, a liquor licensing context, that the --  
25 a county government would give a liquor license that

1 allows a company to sell to 15-year-olds, and then  
2 says, Well, we assume that you would never carry that  
3 out unless the law were changed to allow 15-year-olds  
4 to buy liquor.

5 Very similar situation. I can't imagine  
6 that this agency would issue a license to an applicant  
7 or a nuclear power plant to, instead of storing spent  
8 fuel on the site, to reprocess spent fuel, just in the  
9 event that maybe reprocessing would one day become  
10 permitted. It's just -- it's something that's not  
11 allowed.

12 It shouldn't be in the license, because it  
13 creates -- you know, just imagine yourself in the  
14 position of the public, that a license has been issued  
15 by a government agency that says, You may do something  
16 illegal, that's currently illegal, in the event  
17 that -- you know, in the event that it should become  
18 legal in the future. We assume that you won't carry  
19 it out until it becomes legal in the future.

20 It puts a burden -- it puts a burden of  
21 vigilance on the public to be watching to see, will  
22 someone try to get away with something because it's in  
23 the license. You can do it. And here you say, well,  
24 it's the DOE that has to act; it's the applicant that  
25 has to act in concert. It's very unlikely that this



1 would ever happen.

2 But this is a principle of licensing that  
3 just shouldn't be breached. It shouldn't be breached  
4 on practical grounds that, oh, well, this is -- how  
5 could this ever happen. It should be dealt with when  
6 it comes up. Licensing should not be issued for  
7 activities that are known to be illegal under  
8 currently law. Otherwise, it just turns the process  
9 into a free-for-all.

10 Who couldn't now come in with a license  
11 application that speculated on some nice things that  
12 if they come to pass, I would like to be first in line  
13 to take advantage of them. It puts an incredible  
14 burden on the public. Look at all the people who are  
15 here. We don't know if this is going to come to pass.

16 And certainly the very first application  
17 that WCS filed, which was, I think, in 2016 had  
18 nothing about private ownership of spent fuel. It was  
19 clearly planned that this liability and ownership of  
20 the fuel would be turned over to the DOE. And then  
21 they changed the application and put this alternative  
22 language in.

23 Well, is that just -- to us, it looks like  
24 a fig leaf. I mean, we don't -- it's possible, I  
25 guess, that ISP will decide that they're going to

1 contract with individual licensees who are willing or  
2 going to be willing to take the liability of  
3 transportation and storage for an indefinite period,  
4 but it seems pretty unlikely to us.

5 So this just creates -- the Federal  
6 Government shouldn't be in the business of propping up  
7 a project like this that's based on speculation about  
8 the future. We should be dealing with reality, and  
9 that is what the intervenor groups get told all the  
10 time. Don't speculate about what might happen with  
11 this application.

12 How many times have you seen that in an  
13 NRC decision, where a petition for a hearing is  
14 rejected because it speculated about future events  
15 that might or might not occur, and the decision was,  
16 this case has to be about the real facts, what's in  
17 the application, what is really planned, and we have  
18 to, you know, go on good faith that what is planned is  
19 actually going to happen.

20 JUDGE RYERSON: There's also a line of  
21 cases from the Commission, though, Ms. Curran -- I'm  
22 sure you're familiar with them -- that basically says,  
23 This is a license in this particular instance to  
24 construct and operate. And the NRC's interest in the  
25 commercial inviability of the operation is limited or

1 nonexistent.

2 The NRC has a huge interest, primary  
3 interest, in, is this constructed and operated safely,  
4 but whether it is commercially viable, whether there  
5 are, in fact, private entities out there that want to  
6 contract with this facility, that's not primarily our  
7 concern, as long as the NRC is assured that this will  
8 be constructed safely, and if operated, operated  
9 safely.

10 But does the Agency have to second-guess  
11 the commercial liability of the option that's being  
12 proposed, which is, at the moment, to deal with  
13 private entities?

14 MS. CURRAN: Absolutely not. I agree with  
15 you. If this application only consisted of an  
16 application to deal with private entities and to  
17 contract with them for transportation, storage,  
18 financial assurance was demonstrated through private  
19 entities, we would say, Fine, that's a commercial  
20 business decision of the company; let them get their  
21 license, and then they can decide, are they actually  
22 going to act on it or not.

23 But that's not what we've got here. What  
24 we've got here is, in addition, there's an illegal  
25 provision that's included there as an alternative.

1 And we saw arguments where -- I think it may have been  
2 in the letter that ISP wrote -- well, there's cases  
3 where there's two alternative roads considered. It  
4 might have been in a PFS project. Take this road or  
5 that road. Well, those are two legal roads.

6 This is -- the alternatives are there's a  
7 legal alternative and an illegal alternative. And I  
8 don't think that you should be in the business of  
9 allowing an unlawful alternative, because it's a  
10 possible business -- you know, would be advantageous  
11 from a business standpoint. Your obligation is to  
12 make sure that you're not dealing with approving  
13 illegal provisions.

14 So we believe the appropriate thing to do  
15 would be to say, Yes, go ahead with this application,  
16 but we're not going to consider the illegal  
17 provisions. And if you want to consider federal  
18 ownership of spent fuel, if and when the law changes,  
19 come back and amend your application, and we'll deal  
20 with it then.

21 JUDGE RYERSON: What is ISP simply didn't  
22 say who their customers were going to be, they just  
23 filed an application and said, We'd like to construct  
24 and operate a facility, and they didn't specify who  
25 the customers would be?

1 MS. CURRAN: Well, I think what they have  
2 to do is they have to show some -- provide some  
3 information for financial assurance purposes, and so  
4 I'm not sure the degree to which they'd have to do it,  
5 but they probably have to show where they're going to  
6 get the money to take care of this facility over the  
7 licensing proceeding -- the course of that proceeding.  
8 So they'd have to say something about having  
9 contracts. Okay?

10 JUDGE RYERSON: Yes. But would that  
11 necessarily limit them? I mean, could they have  
12 crafted this application in a way that would have  
13 allowed private contracts or whatever sources they  
14 were using for financial assurances, and just didn't  
15 address the possibility of Congress creating a new  
16 lawful option, which is a realistic possibility.

17 I think we have to recognize that.  
18 There's been legislation, I think, every year for the  
19 last several years proposing that. It may or may not  
20 pass, but it's certainly not an unrealistic  
21 possibility. I mean, are we just arguing about the  
22 way they drafted their application is, I guess, what  
23 I'm a little concerned about?

24 MS. CURRAN: No, I don't think so, Judge  
25 Ryerson, because they would have had to say something

1 about, We are going to have contracts and -- for  
2 instance, I think they say the money is going to be  
3 provided through the contract damage lawsuits that the  
4 licensee has filed against the DOE for these fees that  
5 those --

6 JUDGE RYERSON: But that's money that the  
7 private companies, which is the option -- the option  
8 you don't challenge --

9 MS. CURRAN: Right.

10 JUDGE RYERSON: -- is the private  
11 companies. Those are the ones who are receiving money  
12 now from DOE, because DOE did not honor its commitment  
13 to start taking the nuclear waste back in 1998. So,  
14 I mean, that would be solely on the private side,  
15 would it not?

16 MS. CURRAN: Right. And they have -- in  
17 order to get a license, I believe, the NRC staff would  
18 have to, in a safety evaluation report, look at the  
19 question of where are the funds going to come from to  
20 maintain this facility over the course of the license  
21 term. So they would be looking at who -- what  
22 entities are going to contract with this company.

23 And if the DOE were not included as --  
24 were not named as a potential owner, then I think the  
25 only recourse that the Applicant would have would be

1 to say, We plan to contract with X, Y and Z utilities,  
2 and that they will provide the -- you know, we will --  
3 they will be financing the cost of storing this  
4 material.

5 JUDGE RYERSON: Yes. We'll go through --

6 MS. CURRAN: The other thing is, okay,  
7 from the public's point of view -- this is a very  
8 important part of it. Once something goes into a  
9 license, then it precludes the public from challenging  
10 anything later.

11 So in other words, if DOE -- later on,  
12 legislation passes, and DOE is allowed to take title  
13 to the spent fuel, we are very much restricted in what  
14 we can say and concerns that we could raise about that  
15 enormous change, because you will have already  
16 approved DOE as the owner.

17 And so even though it's going to raise a  
18 host of issues if that happens, it makes it very  
19 difficult for the public to come back in, because you  
20 approved a hypothetical based on a guess, and then  
21 when the guess happens to come true, it turns out,  
22 Well, that was decided ten years ago; where were you,  
23 to anybody who wants to come in and say, We're  
24 concerned about what this looks like with DOE  
25 ownership.

1           It's really not good decision-making.  
2       Look at all the people in this room. All these people  
3       want to be able to engage in a real proceeding and a  
4       real decision-making process. They want to know,  
5       who's going to be responsible for this fuel, because  
6       this concerns us. So please don't give us a decision  
7       that says, That all is going to be decided down the  
8       road, and we're not going to let you have anything to  
9       say about it because it's a hypothetical. It's  
10      really -- it's quite unfair to the public who is  
11      affected by this to do this kind of hypothetical  
12      decision-making.

13           And then finally, I just -- one more point  
14      about this is that there is a serious separation of  
15      powers issue here. An executive agency is limited to  
16      executing the legislation of Congress. And here  
17      Congress has spoken without ambiguity. DOE cannot  
18      take title to spent fuel without a permanent  
19      repository in operation.

20           A decision by the NRC to act outside the  
21      confines of Congress and congressional authorization  
22      is arbitrary and capricious, because it exceeds the  
23      authority of Congress, a separate branch of the  
24      government.

25           Then I'd just like to turn to standing for



1 a moment, because there is a slight difference with  
2 respect to standing, although we would submit that --  
3 well, it's different people, a different place,  
4 slightly different distances from the reactor or from  
5 the proposed storage facility. We have two standing  
6 declarants, one who owns property and has business  
7 interests within four miles, and one who lives within  
8 seven miles of the proposed facility.

9 As this panel recently recognized in the  
10 Holtec decision, there is no magic number for when the  
11 proximity standing presumption applies. While it is  
12 likely less than 50 miles, which is the number for  
13 operating reactors, other ASLB panels have found  
14 proximity standing for individuals living within 17  
15 and ten miles of the storage facilities that -- and  
16 facilities that were actually much smaller than this  
17 one.

18 And in NEI versus EPA, which is a D.C.  
19 Circuit decision reported at 373 F.3d. 1251, from  
20 2004, the Court of Appeals found that someone living  
21 and working 18 miles from the proposed Yucca Mountain  
22 repository had standing. Given that, the Nuclear  
23 Waste Policy Act has a preference for repositories  
24 over above-ground storage as a safer means of storing  
25 or disposing of spent reactor fuel.

1           If you're comparing 18 miles from a  
2           proposed repository with four and seven miles from an  
3           above-ground storage facility, we are well within the  
4           scope that was found to confer standing in the NEI  
5           case.

6           And we also have shown traditional  
7           standing, which is, I think, something that has been  
8           raised, that in the Holtec case, the Applicant is  
9           continuing to raise the standing issue in its appeal  
10          to the Commissioner, so we just want to emphasize that  
11          we think our pleadings show that we have standing  
12          under traditional concepts of standing, in other  
13          words, injury, causation and redressability.

14          Our people live and travel along  
15          transportation routes. There are, you know, just  
16          regular emissions along transportation routes. Normal  
17          emissions could affect them. And then I just want to  
18          point out that in the NEI case, the Court did go  
19          through a traditional standing analysis and said that  
20          one cannot have 100 percent confidence that the  
21          containers and repository will not leak.

22          And they were looking at thousands of  
23          years, and they found that the petitioners had  
24          standing based on potential for leakage of containers  
25          into the environment over thousands of years.

1 Well, we have -- the situation here is no  
2 different. There's no guarantee that there will never  
3 be leakage or an accident from these containers, and  
4 this is a very large quantity of spent fuel. It's  
5 40,000 metric tons. That's half the existing  
6 inventory of spent fuel in the United States. So  
7 if --

8 JUDGE RYERSON: But not for thousands of  
9 years. At least, that's what one would hope.

10 MS. CURRAN: That's what one would hope.  
11 But one doesn't know, and it's very interesting that  
12 when Congress passed the Nuclear Waste Policy Act, one  
13 of the rationales for prohibiting the transfer of  
14 ownership from private licensees to the Federal  
15 Government until a repository was open was to make  
16 sure that everybody was together and had a motivation  
17 to find a repository.

18 So there's a really good policy-based  
19 question of whether, if Congress should say, Okay,  
20 we're going to transfer; we're going to let the DOE  
21 take ownership of spent fuel during storage, then all  
22 the air goes out of that tire of motivating these  
23 licensees to find -- to help Congress to get together  
24 with state and local governments and agree on X or Y  
25 as a good location for a repository.

1           And it's very possible under those  
2           circumstances that this site in West Texas could be  
3           there for a long, long time if that motivation is  
4           lost. So I don't think you can say with certainty  
5           that this will never -- this fuel will never be  
6           moved -- or will be moved. It's possible that it will  
7           not.

8           So in conclusion about standing, while  
9           there are a multitude of tests for standing in spent  
10          fuel storage cases, they all get to the same point,  
11          that you can't say with certainty that containers  
12          holding a large quantity of highly radioactive  
13          material will never leak or be susceptible to acts of  
14          eventual leaks of radioactivity, and therefore, people  
15          who live as close as a few miles should have the right  
16          to challenge the proposed action of locating this very  
17          highly radioactive material in their neighborhood, in  
18          their community. And Beyond Nuclear has shown through  
19          its members' declarations that we do need that  
20          standing.

21                 Thank you. I don't have anything more.  
22                 I'm glad to answer questions later.

23                 JUDGE RYERSON: Thank you, Ms. Curran. I  
24                 have a question that probably will go more to the NRC  
25                 staff when it's their turn, but I'll let you comment

1 if you want to. I'll alert them to it.

2 My understanding would be that the staff,  
3 in terms of their concern of financial assurances, is  
4 focusing solely on the lawful option, which would be  
5 at the moment the only possible option, and that is  
6 based on ISP contracting with private utilities.

7 So, I mean, I don't think -- I'm guessing,  
8 and they'll tell us later, but I'm guessing they are  
9 not relying in any way on the possibility which  
10 everybody seems to agree at the moment is unlawful of  
11 ISP dealing directly with DOE, and so that's not -- I  
12 don't see how it could be part of the financial  
13 assurances package.

14 Do you -- I mean, am I wrong about that  
15 from your standpoint? We'll hear from them later,  
16 but --

17 MS. CURRAN: Well, as a practical matter,  
18 Judge Ryerson, if the DOE owns the fuel, then what is  
19 the -- I mean, it's the taxpayers paying for it, so  
20 what are you going to say about whether there's  
21 sufficient funds? Yes. There's infinite amount of  
22 money to pay for it if the DOE owns it, so it's not  
23 really -- it's a whole different ball game if the DOE  
24 actually owns it.

25 JUDGE RYERSON: Right. But not the one

1 they're examining right now, because they're  
2 examining, I assume -- they'll tell us. But I assume  
3 they're examining the lawful option as a basis for  
4 going forward or not going forward.

5 MS. CURRAN: It still doesn't answer the  
6 question that -- I hear an implicit question, if we  
7 have a lawful alternative in this license, who cares  
8 if there's an unlawful one, too, because we'll just  
9 focus on the lawful part.

10 But then we just keep raising the same  
11 question, as why, why are you allowing, if it's  
12 perfectly permissible -- if they have the information  
13 they need to issue a license based on lawful  
14 provisions, then why, why allow consideration of an  
15 application that contains provisions that concededly,  
16 as all the applicants -- both Applicants have  
17 conceded, they could not be implemented lawfully were  
18 they granted.

19 So why should this agency start out by  
20 entertaining or proposing to affirm unlawful license  
21 provisions? Why not test it out and say, We're not  
22 going to consider these; we're going to strike them  
23 from the application. And if you want to go forward  
24 with your application, then go ahead, but do it in an  
25 appropriate and lawful way.

1 JUDGE RYERSON: Thank you, Ms. Curran.

2 JUDGE ARNOLD: Not quite done.

3 JUDGE RYERSON: Not quite done.

4 JUDGE ARNOLD: You're not running this  
5 alone.

6 JUDGE RYERSON: That's obviously true.

7 MS. CURRAN: I thought I could escape.

8 JUDGE ARNOLD: It has to do with the  
9 standing. And one of your individuals is a D.K. Boyd.

10 MS. CURRAN: Yes.

11 JUDGE ARNOLD: D.K. Boyd also has  
12 authorized Fasken to represent his interests. Do you  
13 know of anything in the NRC regulations that allows an  
14 individual to authorize two different organizations to  
15 represent him?

16 MS. CURRAN: Judge Arnold, I am not 100  
17 percent sure, but I believe that has been done in the  
18 past. I can't see any reason why that person could  
19 not be -- I think that Mr. Boyd has business interests  
20 that are involved with Fasken and also has personal  
21 interests that Beyond Nuclear represents, and I don't  
22 see why there would be any reason to preclude him from  
23 serving as a standing declarant for both petitioners.  
24 But I'm not 100 percent sure if there's a case on  
25 that. I don't know.

1 JUDGE RYERSON: Actually the Commission  
2 has spoken to that and at the very least discouraged  
3 that. I think here we have representatives for groups  
4 that if we treat Mr. Boyd for one but not for you,  
5 you'd still have someone who lives within six or seven  
6 miles.

7 MS. CURRAN: Yes. Mr. Boyd is within four  
8 miles --

9 JUDGE RYERSON: It's an interesting issue,  
10 and the Commission has spoken to it, but I think in  
11 this instance, it's moot. It really would not  
12 adversely affect you.

13 MS. CURRAN: Okay. Yes. And, again, as  
14 you say, the Commission has discouraged it, but I  
15 don't know if they've permitted it. Thank you.

16 JUDGE RYERSON: Judge Trikouros, did you  
17 have anything?

18 JUDGE TRIKOUROS: Well, this was going to  
19 be discussed more tomorrow, I think. But do you see  
20 a distinction between the DOE situation that you've  
21 just outlined and the other hypothetical situation  
22 which is that some third party will take over to the  
23 decommissioning of a plant in the future and become  
24 the owner of that spent fuel, but in order to do that,  
25 they would have to get approval from the Commission?



1           Do you see a difference between that and  
2           the DOE situation in the future? If, in fact, this  
3           third party doesn't get the NRC license, then they  
4           will not be owners of the fuel. If the DOE -- if the  
5           law is not changed by Congress, then DOE will not  
6           become owners of the fuel. Both basically  
7           hypothetical situations that might occur. I don't --  
8           do you see a difference there?

9           MS. CURRAN: The difference here is that  
10          DOE is being put into the license now without it being  
11          lawful. In your hypothetical, the third party comes  
12          in later, wants to become the owner of the facility or  
13          the spent fuel, and submits an application for  
14          transfer of the license.

15          That's the way it should be done, is that  
16          if there's going to be something that happens in the  
17          future, then it's dealt with at that point. It would  
18          not be appropriate, for instance, in the initial  
19          license to say, The owner of the nuclear plant is  
20          going to be A, B or C, and we don't know if it's going  
21          to be -- it wouldn't be C unless the license -- unless  
22          the law changed sometime in the future, but we're  
23          going to write C into the license.

24          The hypothetical that you raised is that  
25          a license amendment application is filed at the time

1 when it becomes appropriate, at the time when it's  
2 factually verifiable that this company wants to buy  
3 this thing and is going to be the owner and has a  
4 lawful right to own it.

5 JUDGE TRIKOUROS: If the license  
6 application has said, current or future owners of the  
7 spent fuel, would that be any different?

8 MS. CURRAN: It would be too vague,  
9 because you don't want to have it unknown who is the  
10 owner of the spent fuel. You want to know, who is it  
11 and what are their qualifications.

12 JUDGE ARNOLD: One other thing. In your  
13 contention, you argue that this contention is not  
14 within the scope of these proceedings. Do you still  
15 believe that?

16 MS. CURRAN: Yes.

17 JUDGE ARNOLD: Okay.

18 MS. CURRAN: But we -- we noticed you  
19 didn't address it in your decision, but we figured it  
20 was because you thought it was. And for us, the most  
21 important thing is the -- we were looking for your  
22 ruling on the validity of the Nuclear Waste Policy Act  
23 claim and the APA claim, and that we do think that  
24 this is an -- the NWPA compliance isn't within the  
25 scope of issues that the licensing board is tasked to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluate. But we think we're going to end up before  
2 the Commission on the substantive issue.

3 JUDGE RYERSON: I think we regard -- at  
4 least, I did -- the Commission's decision to have us  
5 treat your motion to dismiss as a contention seemed to  
6 me to resolve that issue from the Commission's  
7 standpoint, but it's not the issue on the merits that  
8 you're really concerned about, I don't believe.

9 MS. CURRAN: Yes.

10 JUDGE RYERSON: Okay. Any other  
11 questions, gentlemen?

12 (No response.)

13 JUDGE RYERSON: Thank you, Ms. Curran.

14 MS. CURRAN: Thank you.

15 JUDGE RYERSON: Let's see. Oh, we haven't  
16 been going for an hour yet, so unless I see a  
17 overwhelming need for a break, let's begin with Mr.  
18 Matthews. And I think, yes, about 45 minutes  
19 actually.

20 MR. MATTHEWS: Judge Ryerson, I don't  
21 believe we'll need 45 minutes.

22 JUDGE RYERSON: Okay.

23 MR. MATTHEWS: Would the Board prefer that  
24 we address it from the podium or --

25 JUDGE RYERSON: I would -- we would prefer

1       that.   Yes.   Thank you.

2                   MR. MATTHEWS:   Good morning again.   Thank  
3       you.   So as to the specific question that the Board  
4       asked as to the differences between the contentions  
5       presented in this proceeding and that in docket  
6       72-1051, ISP notes that it is the same contention.   It  
7       is the same pleading, in fact, that presented the  
8       contention, the same arguments for it.

9                   The difference here is that the petitioner  
10      Beyond Nuclear did not seek to amend the contention in  
11      this proceeding as it did in the other proceeding  
12      where it sought that more limiting language,  
13      suggesting surgical changes to the application.   That  
14      wasn't presented in the record here.   It's being  
15      advanced to the Board for the first time in this  
16      proceeding today.

17                  The arguments advanced by the parties were  
18      the same.   Both Holtec and ISP agreed with petitioners  
19      that the contention was inadmissible for the reasons  
20      that it had nothing to do with the authority sought by  
21      the respective applicants under their licenses.

22                  I think the Board made clear in LBP 17-4  
23      that the license that the Applicant sought there and  
24      we seek here does nothing to authorize DOE to use such  
25      a facility.   There's nothing that the NRC staff, this

1 Board or the Commission can do that will change the  
2 DOE's authority under the Nuclear Waste Policy Act.

3 The Board invited ISP to provide its  
4 opinion with respect to DOE's authority on that  
5 question, the merits question, if you will, and we  
6 agreed that DOE may not, absent statutory change, make  
7 use of our facility. So the positions of the parties  
8 are the same, and the Board's holding in LBP 17 would  
9 be identical here.

10 We point out -- and this is probably the  
11 right place to do it -- as to standing, since  
12 petitioners have advanced it. ISP articulated a  
13 different basis by which petitioners, BN included,  
14 would not have standing -- Beyond Nuclear here would  
15 not have standing either, and that is the proximity  
16 plus issue.

17 My colleague Ryan Lighty will address that  
18 at the time that the Board would like to entertain  
19 that, but that question, as to whether it has been  
20 resolved by Commission direction as to away from  
21 reactor dry storage was not presented in the other  
22 proceeding. It is presented in our responses to the  
23 contention, and we think it appropriate that the Board  
24 address that.

25 The -- I guess, the final point, as we

1        seem to be moved into the merits of it -- and that's  
2        probably appropriate in this contention -- and that is  
3        that the Board observed, as the Commission has already  
4        decided in Hydro Resources and PFS, that Applicant  
5        here is not asking for anything unusual or different.

6                To the extent that petitioners disagree  
7        with Commission policy, it's exactly that, a  
8        disagreement with Commission policy about whether an  
9        application can be issued priori to receiving all  
10       applicable authorizations, state, federal or local, or  
11       whether the NRC has to be the final gatekeeper, and  
12       the Commission has concluded that in the negative. It  
13       does not. That's well established case law as the  
14       Board cited and followed. So --

15               We would read through all the arguments,  
16       inappropriate to address here. There were some  
17       arguments, impassioned arguments about the public  
18       being cut out if the NRC does not address the NWPA  
19       issue. I'd just point out that, you know, perhaps  
20       that's new here, that Congress decided where NWPA  
21       challenges should be had. It's 119 of the Act. It's  
22       in the Circuit Courts of Appeals. It didn't ask NRC  
23       to be the arbiter of DOE's authority under the Nuclear  
24       Waste Policy Act, so --

25               I'm happy to answer any questions.

1 JUDGE RYERSON: Okay. Just a procedural  
2 one. I'm trying to decide when -- your position -- I  
3 saw your position differed somewhat from the Holtec  
4 position on standing, and we probably -- that really  
5 applies to all the petitions here.

6 Would you -- ISP -- and this was the case  
7 with Holtec as well. ISP would not acknowledge  
8 standing on the part of any petitioner in this  
9 proceeding. I think you articulated a slightly  
10 different reason for that, and I'm just wondering the  
11 best time to address that.

12 Maybe we should hold that, because it's  
13 going to apply to everybody, and figure out a good  
14 time to do it, and we'll continue now with the --  
15 after we have questions from you, we'll continue with  
16 the NRC staff on the Beyond Nuclear issue, its sole  
17 contention, and then we'll probably take a break, and  
18 we'll figure out when we want to talk about standing  
19 per se, which, as I said, really applies -- your  
20 argument applies to all of the petitioners here.

21 Okay. Let's do that. Judge Arnold, do  
22 you have questions of Mr. Matthews?

23 JUDGE ARNOLD: Yes, I have a question.  
24 Are you aware of any spent fuel or greater than class  
25 C waste that is currently held by the Department of

1 Energy?

2 MR. MATTHEWS: Yes, Dr. Arnold. In our  
3 briefings, we cited to a Nuclear Waste Technical  
4 Review Board report that quantified the holdings that  
5 DOE had of commercial spent nuclear fuel, I think was  
6 the question you were asking about. And it did have  
7 a very limited quantity of special nuclear material  
8 and reactor-related TTCC that it held from several  
9 reactors.

10 JUDGE ARNOLD: Now, if you received your  
11 license, would it be a violation of the Nuclear Waste  
12 Policy Act for the Department of Energy to repackage  
13 that fuel, put it in a certified cask, and ship it off  
14 to your storage facility?

15 MR. MATTHEWS: In order for us to put it  
16 into a cask that's already identified in our  
17 license --

18 JUDGE ARNOLD: Uh-huh.

19 MR. MATTHEWS: If it were not a cask  
20 that's already identified in our license, we would  
21 need a license amendment. It would not be a violation  
22 of the ISP license, presuming it met all of its  
23 license conditions including the contract to provide  
24 for decommissioning funding, the financing for it  
25 that's all part and parcel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I expect that if DOE tried to do it as a  
2 federal action, it would take action, and there would  
3 be opportunity elsewhere for interested members of the  
4 public to challenge if they thought that the  
5 Department's pre-NWPA authority did not allow it. And  
6 that's a question that has not been answered, whether  
7 the -- Holtec went to this Agency's pre-NWPA  
8 authority. I think that question is open.

9 JUDGE ARNOLD: I agree. Like the other  
10 things do, but would it be a violation of the Nuclear  
11 Waste Policy Act, since the DOE already holds title to  
12 it?

13 MR. MATTHEWS: I'm not aware of any  
14 federal case that's been cited, and I'm not aware of  
15 any DOE position on that question which would be  
16 entitled to Chevron deference in the first instance.  
17 So it is -- it's an interesting case that I think that  
18 ISP cannot answer today.

19 JUDGE ARNOLD: Thank you.

20 JUDGE RYERSON: Judge Trikouros.

21 JUDGE TRIKOUROS: No.

22 JUDGE RYERSON: Thank you, Mr. Matthews.

23 Well, let's hear from the NRC staff, and  
24 then we will probably take a short break.

25 MS. KIRKWOOD: Do you want us --

1 JUDGE RYERSON: Please. I believe only  
2 that mike is hooked in with the court reporter, so we  
3 have to live with the physical surroundings. Thank  
4 you.

5 MS. KIRKWOOD: Your Honor, I am assuming  
6 you would like us to address the question that you  
7 asked about how the staff is reviewing the  
8 application.

9 JUDGE RYERSON: Thank you.

10 AUDIENCE VOICES: We can't hear.

11 MS. KIRKWOOD: Can you hear me now? And  
12 the answer is that the staff reviews the application  
13 as it's presented to them. So to the --

14 VOICE: If you could speak slower, that  
15 would help.

16 MS. KIRKWOOD: To the extent that the  
17 Applicant is relying on any particular entity for  
18 their financial qualifications, the staff will look at  
19 that. We are still in the process of doing that  
20 review, but we do take the application as it's  
21 presented. We don't just -- if the Applicant's  
22 assuming -- I mean, the Applicant has included it. We  
23 assume that it's something that we need to look at.

24 JUDGE RYERSON: But, I mean, that seems  
25 strange to me, because everybody agrees that one

1 option is not presently a realistic option, so you're  
2 looking at that as a hypothetical option. Tell me --  
3 explain what you're really -- what the staff is doing  
4 with that.

5 MS. KIRKWOOD: So I would note the staff  
6 has not reached a conclusion on that, issue one. Two,  
7 I would note that in a PFS proceeding for their  
8 financial qualifications, they did not indicate who  
9 the customer was. The financial qualifications was  
10 based on a contract with spent fuel owners.

11 JUDGE RYERSON: So it's the conditions in  
12 the contract that are material to you, regardless of  
13 who the contract might ultimately be with.

14 MS. KIRKWOOD: Correct.

15 JUDGE RYERSON: Okay.

16 MS. KIRKWOOD: Well -- correct. Here, ISP  
17 has chosen to indicate who those contract holders  
18 might be, so the staff is looking at that to determine  
19 whether or not it's relevant to our review.

20 JUDGE RYERSON: Okay. All right. Let me  
21 ask you another question that comes up. Initially,  
22 when -- several months ago when you responded to the  
23 petitions, at the same time as ISP, the staff's  
24 position was that Beyond Nuclear's sole contention was  
25 admissible.

1 Two things have happened since then. ISP  
2 has withdrawn its application, its request for an  
3 exemption from financing requirements, based upon DOE,  
4 so that issue appears to have been taken off the  
5 table.

6 And secondly, in response to our request,  
7 they took the option to respond in writing before this  
8 proceeding, so their position is absolutely clear that  
9 as the law now stands, they agree that -- with Ms.  
10 Curran that ISP cannot contract with DOE to take title  
11 to nuclear waste.

12 So what is the staff's position today on  
13 the admissibility of Ms. Curran's, Beyond Nuclear's  
14 contention?

15 MS. KIRKWOOD: The staff had originally  
16 thought this contention was admissible.

17 JUDGE RYERSON: Correct.

18 MS. KIRKWOOD: Beyond Nuclear responded by  
19 saying that they thought the staff had made an error  
20 and that it was not admissible. And so the staff is  
21 a little -- the staff is not trying to waste a  
22 contention on someone who doesn't want to litigate it.  
23 I -- the staff --

24 JUDGE RYERSON: I think she wants to  
25 litigate it, but maybe not in front of us, maybe

1 elsewhere. But I'm sorry. Yes. Continue.

2 MS. KIRKWOOD: There's a lot of aspects to  
3 this the staff thinks are inadmissible. We think that  
4 any speculation regarding the likelihood of any entity  
5 wanting to enter into a contract with ISP is  
6 inadmissible. You know, speculation over their  
7 potential market strategies, we think that's  
8 inadmissible.

9 We think that the remedy that the  
10 application has to be dismissed and renoticed, which  
11 I think more came up in Holtec than in this  
12 proceeding, is inadmissible, that that's not  
13 admissible.

14 To go back to what I earlier stated, the  
15 staff takes the application as it's come, and in this  
16 case, even if they didn't need to, ISP has included  
17 the option that DOE be the ultimate contract holder.  
18 So to the extent --

19 JUDGE RYERSON: As an option that  
20 everyone, Ms. Curran, Mr. Matthews, I believe the  
21 Board, all agrees would be unlawful today unless  
22 Congress changes the law. So I -- let me rephrase my  
23 question to you.

24 At the end of the day, we have to decide  
25 whether a contention is admissible, admissible in

1 part, or not admissible. Where is the staff on that?  
2 What would you do if you were sitting on the -- well,  
3 not what you would do, but what's the staff's position  
4 on the admissibility of the contention today?

5 MS. KIRKWOOD: The staff views the  
6 contention as narrow to whether it is legally  
7 permissible to include DOE as a potential customer, as  
8 an admissible contention.

9 JUDGE RYERSON: Okay. Which, as I recall,  
10 was your position ultimately in Holtec.

11 MS. KIRKWOOD: Yes.

12 JUDGE RYERSON: Okay. So you have not  
13 changed your -- well, I won't say you haven't changed  
14 your position, but you still would regarding Ms. --  
15 Beyond Nuclear's contention as admissible in part.

16 MS. KIRKWOOD: If it -- if that aspect of  
17 it is what they want to litigate.

18 JUDGE RYERSON: Okay. All right. I'm  
19 sorry. Did you have some other comments that you  
20 wanted to make?

21 MS. KIRKWOOD: Only if the Court has other  
22 questions.

23 JUDGE RYERSON: Any questions?

24 JUDGE TRIKOUROS: Just a clarification.  
25 Regardless of who takes title to the spent nuclear

1 fuel, whether it be DOE in the future or some third  
2 party, once they decommission the plant, that the NRC  
3 has to approve -- right? -- whether it be DOE or a  
4 third party.

5 MS. KIRKWOOD: Of who takes title to it?

6 JUDGE TRIKOUROS: Right. Ownership of it.

7 MS. KIRKWOOD: That's not necessarily part  
8 of this licensing procedure. So as a -- the Part 72  
9 license would not -- it would authorize ISP to possess  
10 it, but they wouldn't actually transfer title.

11 JUDGE TRIKOUROS: Okay.

12 JUDGE RYERSON: Do you have more to  
13 follow?

14 JUDGE TRIKOUROS: No. That's fine.

15 JUDGE RYERSON: Okay. Are we done? Thank  
16 you, Ms. Kirkwood.

17 Let's take a ten-minute break and  
18 reconvene at 10:20. Thank you.

19 (Whereupon, a short recess was taken.)

20 JUDGE RYERSON: We're back on the record.

21 Resuming our discussion, I believe we are  
22 up to Sierra Club, Mr. Taylor, and you have up to 45  
23 minutes.

24 MR. TAYLOR: Thank you. Thank you for  
25 allowing us to make a presentation this morning.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VOICE: Can't hear you.

2 MR. TAYLOR: Thank you for allowing us to  
3 make a presentation this morning. I want to begin by  
4 making sure the record is clear about Sierra Club's  
5 position, considering the procedure for this hearing,  
6 if I may.

7 The Board has asked us to, in our case,  
8 differentiate ten contentions that we had in Holtec  
9 with similar contentions in this case.

10 JUDGE RYERSON: Yes. If I may interrupt  
11 you, we are encouraging you to pick the contentions  
12 that you think would be helpful to focus on. We are  
13 not directing that you have to do that. You have 45  
14 minutes to do whatever you want --

15 MR. TAYLOR: Okay.

16 JUDGE RYERSON: -- but I think, given our  
17 decision in Holtec, you might be well advised to focus  
18 on contentions that superficially may seem similar,  
19 the language may seem similar, but you may feel there  
20 are differences factually, based on the sites, based  
21 on the applications. But we're just encouraging to  
22 that. You have 45 minutes to say whatever you think  
23 is most useful.

24 MR. TAYLOR: Okay. But just to continue,  
25 I guess what you just said makes our point, that



1 you've already made a decision, and the impression  
2 that's given is you've already made a decision in this  
3 case, and that puts us in the position of an extra  
4 burden, so to speak.

5 JUDGE RYERSON: Well, we're trying to do  
6 the opposite. We were trying to give you every  
7 opportunity to tell us what differences there are.

8 MR. TAYLOR: And I'll try to do that, but  
9 I just wanted to make the record that by complying  
10 with the Board's order, we're not conceding in any way  
11 that we agree with the Board's decision in the Holtec  
12 case.

13 JUDGE RYERSON: That's perfectly  
14 understood. Thank you.

15 MR. TAYLOR: The first contention I wanted  
16 to address is our contention number 6 in this case  
17 regarding earthquakes. This is, of course, a  
18 different location than the Holtec site, and it seems  
19 to me that the question of earthquake potential is  
20 almost by definition site-specific.

21 And we have a study that's particular to  
22 this situation that we did not have in the Holtec  
23 case. It's a study by the University of Texas and  
24 Southern Methodist University, documenting seismic  
25 impact of recent oil and gas drilling in the West

1 Texas area. And I hoped to use an easel over there,  
2 but I can't manage two microphones, so if I can just  
3 do it from here.

4 This is a figure from the Texas-Southern  
5 Methodist study, and it shows that --

6 JUDGE RYERSON: Is that part of your  
7 petition, or is this --

8 MR. TAYLOR: Yes.

9 JUDGE RYERSON: -- a new document?

10 MR. TAYLOR: It's part of the exhibits.

11 JUDGE RYERSON: Great.

12 MR. TAYLOR: And it shows that in the West  
13 Texas area, particularly in the area of this WCS site,  
14 that since 2000 at least, the earthquake -- the  
15 numbers have gone up, and since 2010, almost  
16 exponentially. And so that, I think, is important.

17 MR. MATTHEWS: Is there a citation for  
18 that exhibit, just so we --

19 MR. TAYLOR: It's the University of Texas  
20 study.

21 JUDGE RYERSON: It probably had an exhibit  
22 designation in your petition.

23 MR. MATTHEWS: It's in the --

24 MR. TAYLOR: It's in the petition, and I  
25 gave the URL. It's titled, Historical review of

1 induced earthquakes in Texas, by Frohlich and others.

2 MR. MATTHEWS: Sorry about that.

3 MR. TAYLOR: Secondly, in that same study,  
4 there's a chart that shows the increase in injection  
5 wells in recent times, and you can see the cluster  
6 of -- it's almost solid -- of injection wells in the  
7 area of the WCS site. So that's information that was  
8 not pertinent to the Holtec case that shows the  
9 earthquake potential.

10 And the point of the Texas study was that  
11 induced earthquakes from the oil and gas drilling  
12 increase because of the oil and gas drilling in the  
13 area.

14 The ER in section 3.3.3 claims only  
15 minimal risk of faulting with seismicity. There's no  
16 mention of seismicity induced by oil and gas  
17 exploration. That section refers to a seismic hazard  
18 evaluation, but we don't know what is in that  
19 evaluation. It was listed as proprietary.

20 If I can just take a moment, I know in the  
21 Holtec case, the Board said, well, we could use the  
22 SUNSI procedure. But to be clear there and again here  
23 in this case, the SUNSI procedure is really a very,  
24 very difficult procedure to use. You have to know  
25 what your issues are.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You have to know what your evidence is  
2 almost within ten days after the start of the 60-day  
3 period for filing your contentions. Then you have to  
4 make the application to the NRC staff who are going to  
5 determine whether you even have standing or whether  
6 the contention might be admissible. And then there  
7 may be restrictions even then on what you can get.

8           It just doesn't really allow the  
9 intervenor an appropriate opportunity to get that  
10 information. And, frankly, I'm not sure why that  
11 study, which is so pertinent to the conclusion that  
12 was made in the ER would be proprietary. It would be  
13 a study that certainly anybody should be able to have  
14 in order to evaluate the ER.

15           There are numerous statements in the ER in  
16 section 3.3.3, but we're just not clear if the  
17 statements are from the seismic hazard evaluation or  
18 simply unsupported assertions.

19           The contention also again relies on a  
20 study from Stanford University, and there are charts  
21 in that study that show the -- what they call the slip  
22 potential in the area. That's these green lines, and  
23 the slip potential, as I understand it, means that  
24 there's an increased possibility of faulting, and thus  
25 it can increase possibility of earthquakes. And you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can see that they're right there in the area of the  
2 WCS site.

3 Also in that same Stanford study is a  
4 chart that shows what they call the orientation of the  
5 faulting, and you can see again right there in the  
6 area of the WCS site, there is some shifting of the  
7 orientation that would lead to an increased potential  
8 for earthquakes.

9 So I think with all of that, we have shown  
10 that there is a difference in the facts. There are  
11 additional facts in this case that were not present in  
12 the Holtec decision that make this contention  
13 admissible in terms of the ER and the SAR in this case  
14 not adequately addressing the earthquake potential.

15 The next one I wanted to address is the  
16 one you discussed with Ms. Curran, violation of the  
17 Nuclear Waste Policy Act, which is our contention 1.  
18 Ms. Curran has done an excellent job of covering most  
19 of that, but a couple of things I wanted to add.

20 First of all, in the Holtec case, the  
21 initial documentation Holtec presented, other than the  
22 ER, did list the nuclear plant owners as possible  
23 owners of the title to the waste once it got to the  
24 site. They just did not put it in their ER, and so we  
25 argued, of course, that the addition of the nuclear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plant owners was simply to make the proposal more  
2 palatable, but not necessarily verifying or assuring  
3 that the nuclear owners would want to retain  
4 ownership.

5 Here, however, ISP, in their initial  
6 documentation, never once in any of the documents  
7 mentioned the nuclear plant owners. It was always  
8 DOE, until Ms. Curran raised the issue. Then they  
9 came up with revision 2 of their documentation, and  
10 added the nuclear plant owners.

11 So I think here we have a much clearer  
12 case that the addition of the nuclear plant owners is  
13 simply a fig leaf to give the impression that this  
14 project would be legal. But there's still no  
15 assurance that the nuclear plant owners would want to  
16 retain title. In fact, you know, the inference in the  
17 documentation is that they want to get rid of it.  
18 That's the point. But --

19 JUDGE RYERSON: Is that really an issue,  
20 Mr. Taylor, in front of us? In other words, if ISP  
21 constructs this facility and finds that there are no  
22 takers, is that the NRC's concern? If it's  
23 constructed safely and there are adequate assurances  
24 it would be operated safely, if anybody wanted to send  
25 their waste there but no one did, I mean, is that a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bad thing? Is that something that we're supposed to  
2 be concerned about?

3 MR. TAYLOR: I believe it is, because as  
4 we said and as Ms. Curran said, it would be illegal,  
5 and certainly you can't license an illegal --

6 JUDGE RYERSON: No. It wouldn't be  
7 illegal if no one sent their waste there. Am I  
8 correct?

9 MR. TAYLOR: Well, as proposed by ISP,  
10 though, it would be illegal. They -- what it seems to  
11 me they're doing is saying, We don't know what's going  
12 to happen; give us a license anyway.

13 You know, in talking to Ms. Curran, you  
14 raised the hypothetical of a liquor store owner and  
15 the age of being able to buy liquor being changed.  
16 But I think another analogy that may be closer is if  
17 I'm still a law student and I say, Give me my law  
18 license, and then if I graduate from law school and  
19 pass the bar, then I'll be a lawyer, and I've already  
20 got my license. That's kind of what we're looking at  
21 here, it seems to me.

22 JUDGE RYERSON: Well, the analogy that  
23 occurs to me is if you're a law student and you go to  
24 a law firm and you say, Would you please hire me as a  
25 law clerk until and when and if I get my -- I pass the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bar, and then please hire -- we agree you'll hire me  
2 as an associate. But there is a lawful option  
3 meanwhile, and maybe that lawful option would go on  
4 for a while if you fail the bar three times.

5 MR. TAYLOR: But in that case, Judge, you  
6 are not getting paid for being an associate. You  
7 don't get any of the other benefits, which is what  
8 really ISP is asking for here. They're asking for a  
9 license to be able to operate, and that's not the same  
10 as if they said, Come to -- if they came in and said,  
11 Well, if we get a license and we get the legal right  
12 to store this waste, then we'll apply for a license.

13 That's kind of what this associate example  
14 would be. But they aren't doing that. They're  
15 saying, Give us a license now, and then later on, we  
16 hope that we will be able to do it legally.

17 JUDGE TRIKOUROS: As a practical matter,  
18 isn't it true that ISP is not going to lift a finger  
19 to construct this facility unless they have signed  
20 contracts from whoever is the spent nuclear fuel title  
21 holder? I believe they went so far as to say that  
22 directly at least once or twice in their  
23 documentation. So there won't be a facility built  
24 here if there aren't signed contracts.

25 So it's not hypothetical at all. It's



1 very clear that it will only be built -- now, that's  
2 their decision to do that. They could have done it  
3 any way they wanted, but I don't think the NRC cares  
4 one way or the other. But that is the reality.

5 MR. TAYLOR: But, I guess, my feeling is  
6 that if it's illegal, the NRC can't license it. Even  
7 though if theoretically, although we don't think so,  
8 it would be safe and environmentally appropriate, if  
9 it's illegal, they still can't license it, it doesn't  
10 seem to me. I don't see how you can license something  
11 that would be illegal.

12 And we don't know whether or not the  
13 nuclear plant owners are even interested in doing  
14 this. It seems to me at least if ISP proposes one  
15 alternative of the nuclear plant owners taking title,  
16 they should at least have something in the  
17 documentation from nuclear plant owners that, yes, we  
18 would be interested in doing that.

19 They don't need a signed contract or any  
20 firm commitment, just some assurance or some  
21 indication from nuclear plant owners that, yes, we'd  
22 be interested in doing that. They don't even have  
23 that much.

24 And so, I think, because of the way the  
25 application was made here initially, with only DOE and

1 then adding nuclear plant owners only as an  
2 afterthought, after an issue was raised, it seems to  
3 me it is just a fig leaf and that the real intent here  
4 is for the DOE to take title, and that ISP would use  
5 the license if it's issued as leverage to Congress to  
6 say, well, look, we've got a license from the NRC, so  
7 change the law for us. I think that's probably what's  
8 going on.

9 I also wanted to talk about the  
10 decommissioning funding. ISP lists only two sources  
11 of funding, the DOE, which I think we all agree is  
12 illegal, and reactor owners again. But ISP has  
13 provided no plan that I could see in their  
14 documentation as to how this would be funded, how it  
15 complies at all with 72.30.

16 In Holtec, at least Holtec had a plan,  
17 although we asserted that the numbers didn't add up.  
18 At least they had a plan. ISP doesn't even have a  
19 plan.

20 NUREG-1757, volume 3, which talks about  
21 decommissioning, lists only specific acceptable  
22 funding mechanisms: a trust fund, surety bond, letter  
23 of credit, insurance policy, parent guarantee -- a  
24 parent company guarantee, self guarantee, external  
25 sinking funds which, I believe, is more or less what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Holtec had proposed, a statement of intent from a  
2 licensee that's a government entity, special  
3 arrangements with a government entity, and standby  
4 trust funds.

5 I don't see any of that in ISP's  
6 decommissioning plan. Well, there is no plan. Their  
7 proposal.

8 And then they say they're going to request  
9 a waiver from the requirements of 72.30, but they cite  
10 no regulation or other authority that would allow that  
11 waiver. There is authority in Chapter 72 for a waiver  
12 of certain requirements, but I don't believe the  
13 conditions for those waivers would be present here,  
14 and certainly ISP has not suggested any.

15 They just make the unsupported statement  
16 they're going to ask for a waiver, but there's no  
17 indication that they would get that waiver or how it  
18 would work. So I think there is a distinction here  
19 between the decommissioning funding plan from Holtec  
20 and ISP.

21 JUDGE RYERSON: I'm sorry. Are we talking  
22 about the waiver that -- there was a withdrawal of the  
23 waiver request. Are we talking about something  
24 different?

25 MR. TAYLOR: I didn't know that they had

1 withdrawn it. I'm looking at Appendix D in their  
2 application, which is their decommissioning proposal,  
3 and --

4 JUDGE RYERSON: There's a subsequent  
5 letter, I think, June 3 -- yes. There's a June 3  
6 letter. Mr. Matthews will probably address that.

7 MR. TAYLOR: Okay. I wasn't aware of  
8 that.

9 JUDGE RYERSON: The request for an  
10 exemption has been, I understand, withdrawn.

11 MR. TAYLOR: But anyway, there's just no  
12 real plan presented that would satisfy 72.30. Then I  
13 want to -- I talk about geology and groundwater, which  
14 again seems to me to be quite site-specific.

15 First of all, here -- our submission has  
16 shown that this site is over the Ogallala Aquifer.  
17 The ISP documentation asserts that it is not, but in  
18 the maps that we presented in our expert's report, the  
19 Ogallala Aquifer would extend down to the site that's  
20 being proposed for this -- for the CIS project.

21 Also, we disagree with the statement in  
22 the environmental report about the depth of the  
23 groundwater. The evidence we presented in our  
24 contention shows that the groundwater is at a much  
25 shallower level than indicated in the ER.

1           The NRC standard review plan, which we  
2           cited in our contention, says there's no evidence that  
3           cladding of high burnup fuel will remain undamaged  
4           during the licensing period. This is relevant,  
5           because ISP and, I believe, the Board in the Holtec  
6           decision relied to some extent on the allegation that,  
7           well, the containers won't leak, so there's no issue  
8           as far as groundwater or geology.

9           But here, as near as I can tell, there's  
10          no discussion in the ER or the SAR about high burnup  
11          fuel. You know, there's a reference in ER 4.2.6 to a  
12          RADTRAN study that does not specifically address high  
13          burnup fuel, and furthermore, that talks about  
14          transportation issues and not issues at the site once  
15          it's being stored.

16          And I think Judge Trikouros made a very  
17          important point in the Holtec hearing that we had, is  
18          that irrespective of whether there's a path from the  
19          containers to the groundwater for any impact to the  
20          groundwater or the containers, the ER is required to  
21          make a thorough, accurate review of the site,  
22          including geology and groundwater.

23          And so I think that even beyond the point  
24          of whether or not there's a pathway, the ER fails to  
25          adequately describe or address the condition of the

1 geology and the groundwater in this area. And we've  
2 shown that, and to the extent there's any  
3 disagreement, I think that's a factual disagreement  
4 that needs to be fleshed out at a hearing.

5 Our contention 14 dealt with the safety of  
6 storage containers. In this case, the SAR at section  
7 1.1 states that the containers to be stored at the ISP  
8 facility are licensed for 20 years, and that the hope  
9 is for them to be licensed for an additional 40 years.  
10 That 60-year licensing period would be less than the  
11 60- to 100-year life of the facility.

12 Furthermore, this scenario does not  
13 account for the possibility that a permanent  
14 repository may never be opened, and the CIS facility  
15 would be a de facto permanent facility or a permanent  
16 repository.

17 The container storage rule I don't believe  
18 applies here because the container storage rule as I  
19 read it and the GEIS that went along with it did not  
20 really address specific containers. It was more of a  
21 generic analysis, and each case would require a  
22 determination of the appropriateness of the containers  
23 for storage beyond the licensing period.

24 ISP, I believe, probably hopes that  
25 they'll get licenses beyond the 60-year period they

1 put in their documentation, but there's certainly no  
2 assurance of that, and there's no assurance that this  
3 site or this facility would be capable of storing  
4 waste beyond that period.

5 And even so, they say the life of the  
6 facility would be 60 to 100 years, so there's  
7 absolutely no indication that they plan to license it  
8 beyond that stated period that they've put in their  
9 documentation.

10 And we believe -- and I think most of the  
11 intervenors believe -- that if this facility and the  
12 Holtec facility are licensed, that takes the political  
13 pressure off to find a permanent repository, because  
14 a permanent repository, as we've seen, is very  
15 difficult to site. And there's absolutely no  
16 indication that that siting would come anytime soon,  
17 if it comes at all.

18 So we believe that the SAR in this case  
19 does not adequately address the safety of the  
20 containers beyond the licensing period, and certainly  
21 beyond the stated life of the facility.

22 But to the extent that this is also  
23 different than the Holtec case, in Holtec our  
24 contention 9 was different in that it was focused on  
25 the design and service lives of the Holtec containers,

1 not the licensing period.

2 ISP has not described any design or  
3 service life with the containers to be used in their  
4 facility here, so we don't have anything to go on  
5 there. We're just -- all we have is the licensing  
6 period and the licensing of the containers.

7 Transportation issues is the next thing  
8 I'd like to address, unless there are questions. In  
9 the Holtec case, our contention 4 also dealt with  
10 transportation issues, and there was some discussion  
11 about the study that we relied on there by Dr. Marvin  
12 Resnikoff and Matthew Lamb concerning a train  
13 derailment into Baltimore that resulted in a fire and  
14 whether that was pertinent to this case or not -- that  
15 case, I should say, the Holtec case.

16 And here, however, we're relying on the  
17 study that was done again by Dr. Resnikoff for Yucca  
18 Mountain, and although in the Holtec case, this Board  
19 criticized us for allegedly not disputing Holtec's  
20 reliance on the Yucca Mountain EIS and not countering  
21 that EIS as criticism of Dr. Resnikoff's report,  
22 that's not an issue here.

23 In the Yucca Mountain report, what  
24 happened was that the DOE, which, of course, had a  
25 vested interest in seeing Yucca Mountain go forward --



1 JUDGE RYERSON: It was the Applicant, as  
2 I recall.

3 MR. TAYLOR: It was the Applicant. You  
4 bet. And so they had a vested interest in criticizing  
5 Dr. Resnikoff's report. It wasn't exactly an  
6 independent, objective criticism of Dr. Resnikoff's  
7 report. So that's why -- and we didn't think it was  
8 going to be relied on to the extent that it was, and  
9 we didn't challenge it.

10 But in this case --

11 JUDGE TRIKOUROS: Dr. Resnikoff's  
12 analysis, if I remember correctly, used RADTRAN as  
13 well as ISP. Correct?

14 MR. TAYLOR: Yes, yes. But he came up  
15 with a different result, and we explain why, or at  
16 least we tried to in our contention. In this case,  
17 ISP does not rely on the Yucca Mountain EIS but had  
18 its own evaluation in ER 4.2.

19 Our contention 4 in this case set forth  
20 Dr. Resnikoff's specific criticisms of that evaluation  
21 and challenged the conclusions of that study, so  
22 that's something that was not in the Holtec case. And  
23 whether or not you agree with Dr. Resnikoff's  
24 criticism, at least we put it out there, and it  
25 creates a factual issue that I think is appropriate

1 for a full hearing.

2 We also had a declaration from Dr. Gordon  
3 Thompson in this case that we didn't have in the  
4 Holtec case, expressing some concerns about the  
5 transportation of the waste. So those are all items  
6 that were not present in the Holtec case that are  
7 present here.

8 Contention 2 in this case that criticized  
9 the ISP documentation for saying that CIS was safer  
10 and more secure than on-site storage. We again cite  
11 the container storage rule and the rule of  
12 decommission report, both saying that on-site storage  
13 is safe indefinitely.

14 And there was some indication that an ER  
15 would not deal with safety, but if you read NUREG-  
16 1748, section 6.3.11, which is the NRC guidance for  
17 the licensing -- well, for ERs and EISs in waste  
18 cases, it says that safety is an issue in terms of  
19 public health and safety. So it is appropriate to  
20 address that in the ER.

21 Dr. Thompson in his declaration points out  
22 the alleged reasons that ISP lists for attempting to  
23 justify this project are wants and not desires --  
24 not -- they're wants or desires and not needs.

25 And, again, the NRC guidance for ERs

1 specifically says that the ER has to present needs and  
2 not simply a justification for the project.

3 And the ER here, in setting out what they call  
4 their purpose and need, are simply things that are  
5 desired but are not needed.

6 We also noted that on-site storage doesn't  
7 mean that nothing is done. We're suggesting that the  
8 ER should look at hardened on-site storage, because  
9 that would increase the safety of on-site storage, and  
10 may be even more safe than the CIS.

11 So just because we're saying that on-site  
12 storage should be better evaluated doesn't mean that  
13 on-site storage would be just, you know, putting it in  
14 an unsafe container. We're saying you can bulk up  
15 that on-site storage to make it safe. And the ER has  
16 not adequately looked at the on-site storage.

17 JUDGE RYERSON: Just to alert you, Mr.  
18 Taylor, I think we can give you about ten more  
19 minutes.

20 MR. TAYLOR: Okay.

21 JUDGE RYERSON: Up to ten minutes.

22 MR. TAYLOR: And I think we already noted  
23 that in this case, it doesn't appear that ISP has  
24 adequately addressed the issue of high burnup fuel  
25 that we set forth in contention 16.

1 I would also note finally that the site  
2 selection alternative -- or the site selection process  
3 for alternatives as we've described in our contention  
4 11 is not adequate. The site selection is not about  
5 purpose and need. It's about the range of  
6 alternatives.

7 And here, although ISP claims they've gone  
8 through a rigorous site selection procedure, going  
9 through several states and looking at various cities  
10 and the 15 criteria, they amazingly came up with the  
11 perfect site right next to their adjacent -- or their  
12 existing low-level site on land already owned by WCS.

13 So we've explained in detail in our  
14 contention why that site selection process was  
15 inadequate and should not be allowed to qualify for an  
16 adequate review of alternatives. NEPA is clear. The  
17 regulations are clear that alternatives are a part of  
18 the NEPA process, and without doing that, they have  
19 not done a proper job.

20 If I still have a few minutes left,  
21 contention 13 concerns the protected species of  
22 lizards. And the -- we've shown how the ER says these  
23 species are in the area. One has been sighted on the  
24 site, and the other is likely in the area, but there's  
25 been no study showing that they've done a proper job

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of surveying to see if those species are there, and if  
2 they would be impacted.

3 And, finally, environmental justice, we  
4 take issue with the hard and fast four-mile rule or  
5 radius that was used. You know, we're not challenging  
6 the regulation. That's simply guidance, and the  
7 guidance itself says that that four-mile radius is --  
8 well, flexible and only advisory.

9 And we've shown here how there are -- the  
10 adjacent counties are majority minority and that that  
11 was not properly taken into consideration, and that,  
12 in fact, the area -- the region of interest that is  
13 set forth in Appendix A, which is the socioeconomic  
14 issues section, is 30 miles. And we have definitely  
15 minority populations in the 30-mile region of  
16 interest. So that hasn't been adequately addressed.

17 Thank you.

18 JUDGE RYERSON: Judge Arnold, do you have  
19 any questions at this time?

20 JUDGE ARNOLD: On that last contention,  
21 contention 13, I see actually two claims in the  
22 statement of contention. One has to do with an  
23 endangered species. The other one is there is no  
24 discussion of any of the studies or surveys used to  
25 determine if a species are present.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So is part of your claim that that section  
2                   3.5.16, description of ecological studies, is  
3                   inadequate?

4                   MR. TAYLOR: Yes.

5                   JUDGE ARNOLD: Okay.

6                   JUDGE RYERSON: Thank you, Mr. Taylor.

7                   I think what we'll do is take another  
8                   break till -- a short one, till 11:15. Then we'll  
9                   hear from ISP's counsel and the NRC staff in response  
10                  to Mr. Taylor. Then we'll have lunch.

11                  And I think when we take a break, the  
12                  Board will consider maybe how to handle the issue of  
13                  standing, the argument on standing that cuts across  
14                  all of the petitioners. We might do that today or  
15                  maybe tomorrow, depending on how we're doing.

16                  But let's convene again at 11:15. Thank  
17                  you.

18                  (Whereupon, a short recess was taken.)

19                  JUDGE RYERSON: All right. We are back on  
20                  the record.

21                  Before we hear from ISP's counsel in  
22                  response to Mr. Taylor, the Board has been talking  
23                  about this issue of standing -- I'll say, the argument  
24                  of standing that cuts across all petitioners. And I'm  
25                  pretty sure that we're going to need all of today for

1 presentations. We'll finish today -- this morning  
2 around lunchtime. Then we still have two petitioners  
3 to address in the afternoon.

4 So I'm thinking -- we are thinking that  
5 maybe the first thing we do tomorrow is address the  
6 standing argument that ISP would like to make that  
7 cuts across all petitioners.

8 Do you have a sense of how long that would be?

9 MR. LIGHTY: Your Honor, I think it would  
10 be five, ten minutes, unless you have specific  
11 questions, and then we will certainly be willing to  
12 answer those.

13 JUDGE RYERSON: Okay. I mean, we're not  
14 holding you strictly to that. This is kind of outside  
15 of what we planned with the June 7 order. I think  
16 since it goes to all petitioners, we would hear, if  
17 need be, from everybody on the standing issue, but it  
18 might be a good idea if overnight, after today's  
19 session or at lunch, the petitioners' counsel might  
20 agree on someone who takes a lead in response to the  
21 argument.

22 I assume it's a variation of the argument  
23 that was presented in their opposition, and Mr. Lodge  
24 is standing up, because he wants to say something.

25 MR. LODGE: No. I have a question, Judge

1 Ryerson.

2 JUDGE RYERSON: Yes.

3 MR. LODGE: Part of my presentation this  
4 afternoon, given the fact that a similar group of  
5 petitioning intervenors in the Holtec case were denied  
6 standing, part of my presentation is going to address  
7 in detail our particular case for legal standing here.

8 I am just asking if I am going to be  
9 allowed to proceed this afternoon to do that, or if  
10 that gets bundled into what's you're talking about.

11 JUDGE RYERSON: You may use your 45  
12 minutes as you see fit.

13 MR. LODGE: Thank you.

14 JUDGE RYERSON: Again, as I said earlier,  
15 we suggested, given the result in Holtec, that you  
16 might find it most useful to use that time telling us  
17 how this case is different. But it's entirely up to  
18 you, however you wish to use your 45 minutes.

19 And, again, we'll let all the  
20 petitioners -- all petitioners have an interest in  
21 standing. This is an argument that cuts against the  
22 standing of every petitioner, and so we'd let you all  
23 speak. I just think it might, from your standpoint,  
24 be most effective if you agree upon a lead on that.  
25 But we'll deal with that then tomorrow. It doesn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 sound like it's an unduly lengthy argument.

2 But we'll probably, unless we move very  
3 rapidly this afternoon, we'll count on that as our  
4 opening for tomorrow, and then we'll go to the phase  
5 of the Judges' specific questions, some of which I  
6 think are being answered in the course of these  
7 presentations, so we may have fewer questions than we  
8 otherwise would have had.

9 All right. So with that, Mr. Matthews,  
10 are you responding to Mr. Taylor?

11 MR. MATTHEWS: Judge Ryerson, the three of  
12 us, we have split the contentions by subject matter.

13 JUDGE RYERSON: Okay.

14 MR. MATTHEWS: So each of us have some of  
15 these that Mr. Taylor --

16 JUDGE RYERSON: Well, that's fine. I  
17 think if you move to the lectern, then you'll be  
18 picked up by the court reporter, so that's the best  
19 place to do it.

20 MR. MATTHEWS: We'll do that. Ryan Lighty  
21 will go first and discuss the seismicity issue, and  
22 then to avoid jumping up and down, he will address the  
23 other contentions that he's responsible for, and Mr.  
24 Bessette and I will then address the ones that we're  
25 responsible for.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 JUDGE RYERSON: Right. And I certainly  
2 don't want to tell you how to conduct your argument,  
3 but I think all the Board members were interested in,  
4 I think it is, Sierra Club number 4, whatever deals  
5 with the transportation aspect, so I hope someone is  
6 dealing with that.

7 MR. MATTHEWS: We are, Your Honor.

8 JUDGE RYERSON: Okay. Thank you.

9 MR. LIGHTY: Thank you, Your Honor. Ryan  
10 Lighty for the Applicant. As Mr. Matthews mentioned,  
11 I'm going to start off responding regarding Sierra  
12 Club contention 6 on earthquake potential. Sierra  
13 Club's counsel noted that there was a difference  
14 between the pleadings in the two proceedings in that  
15 the petition here referenced a University of Texas  
16 study.

17 However, the statement of the contention  
18 in the two proceedings is verbatim identical, except  
19 for the name of the applicant. And the addition of  
20 the UT study does not add anything material to the  
21 arguments advanced. It merely stands for the  
22 assertion that petroleum recovery activities may cause  
23 induced seismicity, and that's a duplication of the  
24 Stanford study, although with different geographic  
25 areas, but the concept being that the petroleum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recovery may cause induced seismicity.

2 There's no dispute with the application on  
3 that point. The application explicitly recognizes  
4 that possibility and analyzes it.

5 Second, Your Honor, a significant  
6 difference between the Holtec proceeding and this is  
7 that Sierra Club's arguments on earthquake potential  
8 in the Holtec proceeding cited to the analysis that  
9 was conducted. Here they simply complain that the SAR  
10 and the attachment with the analysis is a SUNSI  
11 document, so we're going a step further in their  
12 failure to challenge the relevant content of the  
13 application, and that is a significant difference  
14 between the two proceedings that we think the Board  
15 should be aware of.

16 If you have any questions on Sierra Club  
17 6, I would be happy to answer those. Otherwise, I can  
18 move on to --

19 JUDGE RYERSON: Judge Arnold, any  
20 questions at this point?

21 JUDGE ARNOLD: No.

22 JUDGE RYERSON: Judge Trikouros?

23 JUDGE TRIKOUROS: No.

24 JUDGE RYERSON: Okay. Proceed.

25 MR. LIGHTY: Turning now to Sierra Club

1 contention 4 regarding the transportation analysis,  
2 again the statement of the contention is identical  
3 between the two proceedings but for the name of the  
4 applicant.

5 But in the ISP proceeding, there is a  
6 different Lamb and Resnikoff study that was cited in  
7 the petition. The title of that study is, Worst case  
8 credible nuclear transportation accidents, analysis  
9 for urban and rural Nevada.

10 Now, in the Holtec proceeding, there may  
11 have been some question as to whether the report cited  
12 was a worst case analysis. Here there can be no  
13 doubt. The title of the document itself tells you  
14 what it is.

15 More importantly, this analysis does not  
16 challenge the sufficiency of ISP's RADTRAN analysis.  
17 This document challenges and criticizes the DOE  
18 RADTRAN analysis, and so to lodge arguments against an  
19 analysis that's not in this application simply doesn't  
20 dispute the application.

21 The closest that petitioners got to doing  
22 so was simply copying and pasting some charts from the  
23 Resnikoff analysis and saying, These are lower values.  
24 But the ISP -- excuse me. The ISP analysis has lower  
25 values. But it does not explain why that makes the

1 application deficient.

2 Merely citing to a worst case analysis and  
3 saying there's a discrepancy does not identify a  
4 genuine dispute with the application. It doesn't  
5 explain what that dispute is, why the analysis that  
6 was conducted may have been deficient somehow.

7 JUDGE TRIKOUROS: In -- however, in your  
8 analysis, you seem to go to great lengths to show that  
9 various other studies agree with you, one of which, I  
10 think, was the DOE study that we're talking about.  
11 And, therefore, to some extent, then, Dr. Resnikoff's  
12 challenge to the DOE RADTRAN study, which got the same  
13 basic answers that your RADTRAN study got, has a  
14 measure of validity, wouldn't you say?

15 MR. LIGHTY: Perhaps in an attenuated  
16 fashion. I don't believe the ISP application gives  
17 significant analysis to the DOE report. It's  
18 certainly cited as a reference, and it is noted that  
19 ISP's RADTRAN is consistent with the NRC's conclusions  
20 in NUREG-2125, in the PFS analysis, in the DOE  
21 analysis.

22 But still we don't have any explanation  
23 for why the Lamb and Resnikoff report criticizing the  
24 DOE analysis somehow presents a challenge to ISP's  
25 analysis, even though ISP's conclusions may be similar

1 to what all of the other studies have concluded.

2 JUDGE TRIKOUROS: I also wanted to just  
3 point out that for further discussion tomorrow, that  
4 the staff only recently identified a bunch of RAIs  
5 regarding this subject and, you know, needed a  
6 significant amount of additional information so that  
7 they could understand the details of the RADTRAN study  
8 that ISP conducted.

9 Therefore, it would be hard for me to  
10 understand how Sierra Club could understand the  
11 details and present an argument if they weren't  
12 available even to the NRC.

13 MR. LIGHTY: I would first note that the  
14 petition doesn't attempt to challenge the information  
15 that was provided in the ISP RADTRAN analysis, and to  
16 the extent that the new RADTRAN analysis that was  
17 recently submitted -- and I believe there was -- that  
18 was submitted on June 28 and notification to the Board  
19 and all the parties was sent out regarding that.

20 The new RADTRAN analysis essentially was  
21 a regeneration under the TN Americas quality assurance  
22 plan, but it didn't reach any different conclusions.  
23 The methodology was the same. It was just a rerun of  
24 the RADTRAN, and so, you know, to the extent that  
25 there may have been some additional information that

1 was presented there, petitioner didn't seek to  
2 challenge the absence of that information in the first  
3 instance, and so they didn't identify that as their  
4 purported dispute with the allocation.

5 JUDGE TRIKOUROS: The enclosures that were  
6 provided in that, I think you mentioned, June 28  
7 letter, notification letter, there were numerous  
8 enclosures apparently. I don't think we saw more than  
9 one or two of those, but those were not publicly  
10 available?

11 MR. LIGHTY: I believe that there was a  
12 proprietary attachment to the document with some  
13 information about the actual calculation, but all of  
14 the information was described in the publicly  
15 available attachment to the Board notification.

16 JUDGE TRIKOUROS: You apparently provided  
17 RADTRAN input files, pretty much anything you would  
18 need to independently verify the calculation. But  
19 that was not available to anyone else. I'm asking.

20 MR. LIGHTY: Yes. I believe that is  
21 correct. The actual files are proprietary  
22 information, and no petitioner sought to obtain SUNSI  
23 authorization to view proprietary information in this  
24 proceeding when they had the opportunity to do so.

25 MR. LIGHTY: If the Board has no other

1 questions on Sierra Club 4, I'm happy to move on very  
2 briefly to Sierra Club contention 11.

3 JUDGE ARNOLD: I do have a question, and  
4 it has to do with the details of the shipping casks  
5 being used in the transportation accident analysis.  
6 And you may not be able to answer this. But I'm  
7 wondering how important the actual structural details  
8 of the casks are.

9 For instance, if you did a detailed finite  
10 element analysis of the cask, putting it through the  
11 accident transient, the details would be very  
12 important. Alternatively, if you just used the design  
13 criteria, you know, that the NRC says, these are the  
14 things that the cask must survive and the analysis  
15 just looks to see that the temperature's under that  
16 temperature, the, you know, G forces are within it,  
17 then there's no failure, in that type of analysis, the  
18 details of the specific cask are not important because  
19 it covers all the certified casks.

20 Which type of analysis are your accident  
21 analysis? Do you know?

22 MR. LIGHTY: Unfortunately, that's not  
23 something that I can answer regarding the details of  
24 a finite element analysis inputs. You know, I would  
25 note that any transportation cask is going to have to



1 be NRC-approved, according to performance criteria,  
2 and so I'm not sure that any difference would be  
3 material.

4 But more importantly, petitioners didn't  
5 present any information, any support for an argument  
6 that there is a material difference. Any unsupported  
7 speculation simply would not be enough for an  
8 admissible contention.

9 JUDGE ARNOLD: Thank you.

10 JUDGE TRIKOUROS: The -- I got the  
11 impression that the assumptions on the loss of  
12 shielding transportation accident was sort of  
13 nonmechanistic in the sense that basically said, the  
14 cask loses a certain amount of shielding, and that was  
15 it. It wasn't -- the cask itself didn't seem to me to  
16 be analyzed. Can you comment on that?

17 MR. LIGHTY: That also is not something  
18 I'm intimately familiar with. No. I would note that  
19 the analysis, however, did use conservative bounding  
20 in that all of the canisters that would be received at  
21 ISP, stored at ISP, would be welded inert canisters,  
22 and for the sake of conservatism, it was assumed that  
23 welded inert canister would not be used.

24 In other words, I think the proper term  
25 would be bolted canisters, which have a greater

1 p r o b a b i l i t y o f l e a k s .

2 And so the analysis that was is very  
3 conservative, very bounding analysis in that regard.

4 JUDGE TRIKOUROS: We'll pursue this  
5 more --

6 MR. LIGHTY: Sure.

7 JUDGE TRIKOUROS: -- tomorrow.

8 MR. LIGHTY: Okay. Very good.

9 JUDGE TRIKOUROS: Or later today.

10 MR. LIGHTY: Okay. If there are no  
11 further questions on Sierra Club 4, I will move on  
12 very briefly to Sierra Club 11. This is the site  
13 selection contention.

14 This was not a specific contention raised  
15 in the Holtec proceeding. It is new here. But the  
16 bottom line is that the petitioners provide no  
17 explanation of how the process used here for site  
18 selection circumvents reasonable consideration of  
19 alternatives or is somehow less than what the NRC  
20 requires in an environmental report.

21 The petitioners have a laundry list of  
22 complaints about the issues that are discussed in the  
23 ER, but it doesn't identify any legal deficiency,  
24 anywhere the application's somehow deficient as a  
25 matter of regulation or law. And so for the reasons

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we discussed in our pleadings, we continue to  
2 believe that contention is inadmissible.

3 And if there are no questions on Sierra  
4 Club 11, I will move on to Sierra Club 15 very briefly  
5 also. This is the environmental justice contention.  
6 The Board in LBP 19-4 considered three environmental  
7 justice related contentions from AFES, and the  
8 conclusion for those contentions is entirely  
9 applicable here.

10 The bottom line is that Sierra Club has  
11 not pointed to any legal requirement for a more in-  
12 depth EJ analysis. ISP addressed EJ to the depth  
13 recommended by NRC guidance, and petitioners offer  
14 nothing to explain why compliance with the guidance in  
15 this case is somehow deficient.

16 They offer what they believe would be  
17 their preferred radius for an EJ analysis, but they  
18 don't offer any support for why that would demonstrate  
19 a genuine dispute with the application. And so the  
20 contention is inadmissible on those grounds.

21 And if there are no questions on that  
22 contention, I will turn it over to my colleague Tim  
23 Matthews.

24 MR. MATTHEWS: Thank you, sir. I will  
25 start with Sierra Club 1. Sierra Club 1 is its

1 version of the Nuclear Waste Policy Act --

2 VOICE: Can you speak louder, please.

3 MR. MATTHEWS: Thank you. Sierra Club 1  
4 is its rendition of the Beyond Nuclear Nuclear Waste  
5 Policy Act contention. Sierra Club in its filing of  
6 this contention argued only standing and adopted  
7 Beyond Nuclear's pleadings. In that regard, it is no  
8 different than Beyond Nuclear. It was not amended as  
9 it was in the other CISF proceeding, so all the  
10 discussion we had earlier about Beyond Nuclear 1 hold  
11 here, and we have not further to address on that  
12 specific allegation.

13 There was a suggestion, though, here today  
14 that is somewhat different from the pleadings that  
15 went to the timing of ISP's revised application, I  
16 think, and suggesting that the Board should read some  
17 inference into it and suggest a fig leaf.

18 ISP's application was submitted after the  
19 WCS version of the application had been suspended.  
20 The joint venture parties formed Interim Storage  
21 Partners, decided on a new business model or an  
22 amended business model to incorporate both DOE and  
23 private storage, and revised the application and  
24 submitted it that way. It's that simple. There's no  
25 reason for the Board to draw any untoward inference

1 from it. It's that on Sierra Club 1.

2 Sierra Club 9 is similar and more, a  
3 little bit. In fact, the staff's original reason for  
4 suggesting that Beyond Nuclear and Sierra Club 1 were  
5 admissible was that ISP had an exemption request that  
6 relied on the Nuclear Waste Policy Act in their view,  
7 and therefore, the contention would be admissible.

8 As the Board noted, the Applicants have  
9 withdrawn that exemption request. It's no longer part  
10 of the application. I think that was discussed in the  
11 questions with respect to Sierra Club 9.

12 The Board's ruling in the similar  
13 decommissioning funding or financial qualification  
14 funding in Sierra Club 8 in the other proceeding, the  
15 basis is similar. Here the fault of the petitioner is  
16 different in that they failed to read the application,  
17 and they assert that there is no decommissioning plan,  
18 and appear to continue to assert that today, despite  
19 it being answered in the briefs.

20 We point to the section in the application  
21 and the attachment entitled, Decommissioning Plan. So  
22 we think that answer is fully briefed, and we think  
23 the Board's logic in Sierra Club 8 in the other  
24 proceeding would apply fundamentally here as well.

25 There were two other contentions that I

1 want to address briefly here with you today. I  
2 suspect that they're ones that the Board may be  
3 interested in discussing further. Did you have a  
4 question, Judge?

5 JUDGE TRIKOUROS: Yes. I just wanted to  
6 make sure that I understand the sequence. Originally  
7 you were relying upon the DOE entirely for  
8 decommissioning funds. Is that correct?

9 MR. MATTHEWS: The WCS application  
10 originally submitted relied exclusively on DOE as the  
11 only customer.

12 JUDGE TRIKOUROS: Okay. And the revision  
13 basically took the DOE out of the picture and said  
14 that you were going to meet the requirements of  
15 72.13 -- .10.

16 MR. MATTHEWS: No. Not exactly. The  
17 application as originally submitted for financial  
18 qualification indicated that ISP would have a contract  
19 with DOE as a customer, and it would -- in fact, the  
20 license condition was there, that it would have an  
21 external sinking fund and a contract with DOE.

22 It was modeled on the PFS application, so  
23 that funds recovered from the customer would be  
24 deposited in the external sinking fund, and the surety  
25 would make the difference between the balance in the

1 fund and the decommissioning cost estimate.

2 When Interim Storage Partners reactivated  
3 the application, they amended it to include -- so not  
4 to remove DOE, but to include -- let me step back. It  
5 also had an alternative by which WCS would use an  
6 exemption, based on other Part 70 facilities where DOE  
7 would assume the financial obligation for  
8 decommissioning the facility, so one of the other  
9 listed provisions of 72.30.

10 Those two provisions were left in, so DOE  
11 as a customer with the external sinking fund, or the  
12 DOE exemption were left in the application in Rev. 2  
13 when ISP reactivated it. But ISP added a third, and  
14 that was that private customers would use that 72.30  
15 external sinking fund combined with surety bonds.

16 So regardless of who the customer was,  
17 when ISP recently, on June 3, removed that exemption  
18 request, those two alternatives still exist.  
19 Regardless of who the customer is, ISP will recover  
20 those funds, deposit them into the external sinking  
21 fund and make up delta with a surety bond.

22 JUDGE TRIKOUROS: And you appropriately  
23 modified the license conditions as per --

24 MR. MATTHEWS: That's correct, Judge  
25 Trikouros. We modified that amendment, modified

1 everywhere the exemption was addressed and removed the  
2 exemption request in 1.71.

3 JUDGE ARNOLD: I do have a simple  
4 question. The petitioners have expressed doubts as to  
5 whether or not it is credible that utilities owning  
6 fuel might be willing to pay you to store their fuel.  
7 Let's assume for a moment that they're correct and  
8 they have cold feet and they will not allow you to  
9 store the fuel, and the DOE just can't by law.

10 What, in that case, would your  
11 decommissioning costs be? I mean, because you've  
12 never gotten any fuel.

13 MR. MATTHEWS: There'd be even no  
14 construction, Judge Arnold. It would be similar to  
15 the status of the PFS license today. There's a  
16 license that exists that hasn't been used.

17 JUDGE ARNOLD: So if petitioners are 100  
18 percent correct, then there's no problem really.

19 MR. MATTHEWS: Petitioners assert that  
20 there is a problem. They somehow believe that we will  
21 have decommissioning expenditures prior to receipt of  
22 fuel for storage. It's the opposite that you point  
23 out, enshrined in the license conditions, that we  
24 won't have the fuel absent the contract, so there will  
25 be assurance of decommissioning funding prior to



1 receipt of any fuel for storage. And that was  
2 specifically modeled on the PFS precedent.

3 JUDGE ARNOLD: Thank you.

4 MR. MATTHEWS: The remaining two  
5 contentions that -- the first that I have is the  
6 location of the Ogallala Aquifer seems to be how the  
7 petitioners style it and would have the Board think  
8 about it. But it is a contention about the CISF  
9 adversely affecting groundwater.

10 And in that regard, it is no different  
11 than Sierra Club 15 in the other proceeding. The  
12 location of the Ogallala Aquifer or Ogallala -- the  
13 OAG Aquifer, the OAG Formation. Whether there's water  
14 in that formation and where under the proposed CISF  
15 site, we recognize that petitioners disagree with our  
16 application, and we recognize that their expert  
17 disagrees with the location of what Dr. Bobek believes  
18 is the Ogallala Aquifer.

19 ISP has indicated where the water is,  
20 regardless of what label any petitioner wants to put  
21 on it. What petitioners have not shown here is the  
22 same as what petitioners didn't show in the other  
23 proceeding, and that is why dry pelletized fuel inside  
24 clad has some risk, whether it be high burnup or  
25 other, how somehow that radiological material could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 move from outside the clad to outside the welded can,  
2 what medium there is to transport it from that dry can  
3 onto a pad, and then how it would penetrate that layer  
4 of ground to reach whatever water is there.

5 What ISP has shown in its applications is  
6 that there is not water under the pad where it intends  
7 to store the fuel. Petitioners have not shown that  
8 there is water under the pad. They have shown that  
9 there's water in the nearby vicinity, and they would  
10 have the Board look at very large scale maps with  
11 large dots that would cover many square miles on a  
12 question that is very local. So --

13 JUDGE RYERSON: Yes. If I may interrupt  
14 you, Mr. Matthews, it seemed to me, if I recall, you  
15 made an argument that because of the lack of a pathway  
16 for liquid, that the geology was therefore not  
17 material to the outcome of whether there could be  
18 liquid contamination.

19 But isn't -- doesn't ISP have an  
20 independent obligation to analyze the geology and the  
21 water structure per se, and isn't their argument that  
22 they have raised at least, whether you agree with them  
23 or not, they have at least raised an issue for a  
24 hearing on that, regardless of whether there could be  
25 groundwater contamination?

1 MR. MATTHEWS: So separate from the safety  
2 issue of groundwater, the NEPA issue of whether ISP  
3 adequately analyzed the --

4 JUDGE RYERSON: Correct.

5 MR. MATTHEWS: -- the groundwater status  
6 at the site.

7 JUDGE RYERSON: Correct. Does the  
8 contention cover that?

9 MR. MATTHEWS: We know of no site that has  
10 been more studied, more analyzed and more documented  
11 with respect to groundwater. The fact that there are  
12 petitioners' studies that they have found or  
13 commissioned to identify groundwater in one place or  
14 another does not somehow suggest that ISP has failed  
15 to adequately assess the groundwater WCS, the partner,  
16 has failed to assess.

17 In fact, it has been the subject of  
18 extensive review in other proceedings that the  
19 petitioners cite they say are still disputed, but  
20 don't say where or by whom. And they cite the Texas  
21 Water Development Board for being authoritative of  
22 where the aquifers are, and even the Board doesn't  
23 show the water there.

24 So, yes, they disagree, but they have not  
25 shown how ISP's analysis is somehow inadequate from a

1 NEPA perspective.

2 JUDGE RYERSON: Okay.

3 MR. MATTHEWS: From either a safety or a  
4 NEPA perspective. And my last is high burnup fuel, in  
5 this proceeding, Sierra Club 16. In the other  
6 proceeding, this same issue was spread across several  
7 different contentions. I believe they were Sierra  
8 Club 20 through 23 in that proceeding, but presented  
9 the same issues.

10 There are opinions about high burnup fuel  
11 might react, and cite to DOE and NRC references for  
12 concerns about high burnup fuel, but they don't point  
13 to deficiency in the application, how the application  
14 assessed high burnup fuel.

15 They say that we haven't, but failed to  
16 address those sections of the application that do, as  
17 it relates to the facility, and failed to address or  
18 seek to go beyond the scope of this licensing  
19 proceeding with the facility and get into the  
20 licensing of the canisters themselves, the dry storage  
21 systems that are subject of separate NRC licensing  
22 process.

23 Those are incorporated by reference in the  
24 CISF application. WCS commits, as in the other  
25 application, that any high burnup fuel will be canned

1 inside the canister. And petitioners haven't  
2 suggested any reason why that is inadequate.

3 So the analysis that the Board applied in  
4 those contentions 20 through 23 in the other  
5 proceeding, that applies equally well here to the  
6 reformulated contention 20 here -- I'm sorry --  
7 contention 16.

8 JUDGE ARNOLD: When you load spent fuel,  
9 is there a limit on the decay heat that can be within  
10 one specific fuel assembly?

11 MR. MATTHEWS: ISP won't load spent fuel.

12 JUDGE ARNOLD: When the -- it's probably  
13 in the certification --

14 MR. MATTHEWS: The certification for each  
15 of those dry canister systems that are incorporated by  
16 reference into the ISP application would be in chapter  
17 12 of the application for each system. Each of the  
18 eight systems are listed there, and those technical  
19 specifications and requirements for those canisters  
20 apply the same as they do today at the WCS CISF.

21 So, yes. There are limitations that apply  
22 to each of the different designs as to -- and this is  
23 where I get out in front of my headlights. It's burn  
24 and temperature that they manage with the system.

25 JUDGE ARNOLD: But I'm thinking, for a

1 specific canister design that has a limit on the decay  
2 heat, the burnup that can be in it, if this canister  
3 can take either low burnup or high burnup fuel, do  
4 they require that the high burnup fuel that has  
5 greater decay heat decayed longer in a spent fuel pool  
6 before it's loaded?

7 MR. MATTHEWS: So, again, I'm not --

8 JUDGE ARNOLD: I'm just saying, is there  
9 one thermal limit that is approved for all fuel,  
10 regardless whether it's high or low burnup?

11 MR. MATTHEWS: I don't believe there's one  
12 thermal limit that applies to every dry cask storage  
13 system. They each have their own --

14 JUDGE ARNOLD: For a specific system.

15 MR. MATTHEWS: Each specific system has  
16 its own licensing basis, and --

17 JUDGE ARNOLD: Okay. You just don't have  
18 the --

19 MR. MATTHEWS: I don't have the --

20 JUDGE ARNOLD: -- expertise --

21 MR. MATTHEWS: -- answers for that, but  
22 they carry over in the CISF -- so they don't change in  
23 this application. They're incorporated by reference,  
24 and the site application has a condition that is  
25 specific, defining high burnup at 45,000. So if a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 canister wasn't loaded -- if it were somehow allowed  
2 to be loaded with a higher burnup without canisters  
3 and didn't meet the 45 in the ISP license, it wouldn't  
4 be acceptable for receipt. Am I answering your  
5 question?

6 JUDGE ARNOLD: No, no. I understand that  
7 you don't have the technical expertise to answer what  
8 I'm asking.

9 MR. MATTHEWS: I've proven that. Thank  
10 you, Judge Arnold. I'll turn it over to my colleague,  
11 Paul Bessette.

12 JUDGE RYERSON: Thank you, Mr. Matthews.

13 MR. BESSETTE: Good morning, Your Honor.  
14 This is Paul Bessette, and I think I can be fairly  
15 quick in our wrap-up on the remaining Sierra Club  
16 contentions. And I'm going to start with general  
17 categories.

18 First is Sierra Club's contentions  
19 regarding purpose and need of the application. And  
20 there's three contentions that generally are somewhat  
21 repetitive and overlap, Sierra Club 2, which asserted  
22 a lack of support in the ER for comparative safety and  
23 security claims and that the application must examine  
24 hardened on-site storage; Sierra Club 3, that there's  
25 no need for the CISF and that it conflicts with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 container storage rule; and Sierra Club 8, that the  
2 application is not supported by the Blue Ribbon  
3 Commission.

4 Overall, all three of those contentions  
5 are very similar or are identical to the Board's  
6 decision in Sierra Club 2 and 3 in Holtec, which  
7 addressed the comparative safety of fuel on site to  
8 the continuous CISF; Sierra Club 6, which addressed  
9 hardened on-site storage; and Sierra Club 7, which  
10 addressed the Blue Ribbon Commission. We believe  
11 those contentions are identical, and the Board's  
12 decision applies to all of those.

13 Moving along, Sierra Club no-action  
14 alternative, Sierra Club 7. Again, very similar.  
15 Must discuss safer on-site storage of hardened on-site  
16 storage, and the fact that fuel can be stored safely  
17 and indefinitely on site. It must discuss the costs  
18 and benefits.

19 The Board decision in Holtec 6 applies  
20 equally here, and I would note that that was not  
21 appealed in Holtec, nor was Sierra Club 2, 3, or 8.  
22 The Board's decision applies here. The cost benefit  
23 is discussed in the ER, particularly in our  
24 application section 7.2 and 7.3. The no-action  
25 alternative is maintaining the status quo. There's no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 need to evaluate alternate means of storing fuel at a  
2 licensee's site.

3 The failure to discuss how HOSS is  
4 relevant to the no-action alternative, it's not  
5 licensed or implemented at any site, and the Continued  
6 Storage Rule does not include any comparative safety  
7 analysis of on-site to CISF storage. So, again,  
8 Sierra Club 7, Board decision applies here as well.

9 There was another category of contentions  
10 on the duration of the license, the de facto  
11 repository, and for Sierra Club, that was Sierra Club  
12 contention 5. It said ER must address the purpose,  
13 need and environmental impacts if a permanent  
14 repository is not found and the CISF become the de  
15 facto permanent repository.

16 The Board decision in Sierra Club 5 and  
17 also in Joint Petitioners 10 applies equally here, and  
18 none of those were applied. Like the Holtec  
19 application, the CISF -- the ISP application is only  
20 for 40 years. Possible renewals are irrelevant. They  
21 will be separate licensing actions.

22 The CISF continuous storage rule includes  
23 the impact determinations from the continued storage  
24 GEIS, which considers the environmental impacts beyond  
25 the terminal license. That's a challenge to the

1 Continued Storage Rule which is barred in this  
2 proceeding without a waiver, which has not been  
3 applied.

4 With regard to the container licensing  
5 period, Sierra Club 14, which was discussed by Mr.  
6 Taylor, says they have a 20-year licensing period, and  
7 by the time that they get to the CISF, many of them  
8 will already have been in service for many years. It  
9 said we must evaluate the environmental impacts of the  
10 containers beyond the 20-year period. They also  
11 assert as part of that that it is a de facto  
12 repository.

13 The Board's decision in Holtec, Sierra  
14 Club 9, applies equally here for the same reasons.  
15 And the Continued Storage Rule -- per the Continued  
16 Storage Rule, we are not required to consider the  
17 environmental impacts beyond 40 years. And it's not  
18 relevant to this proceeding that extensions to the  
19 cask life or the CISF are possible, as that is  
20 governed by the Continued Storage Rule.

21 There is one different contention here,  
22 Sierra Club 12. They assert the actual minimum  
23 cooling time for a boiling water reactor fuel in new  
24 homes MP-187 which is one of the casks in the ISP  
25 application is greater than calculated through TN or

1 Orano. Thus, the cladding will exceed the allowable  
2 limits.

3 That is actually just a error in the  
4 pleading. That cask, which is cited in our  
5 application, does not allow storage of boiling water  
6 reactor fuel, so that is a different contention, but  
7 it's just a factual error. In addition, any  
8 challenge -- even if it were allowed, that would be a  
9 challenge to the CFC for that cask and beyond the  
10 scope of this proceeding.

11 Finally, Sierra Club 13, which you  
12 discussed earlier by Mr. Taylor, is a challenge to the  
13 discussion of endangered species, particularly the  
14 Texas horned lizard and the dune sagebrush lizard.  
15 They say they have or may be present on the site, and  
16 there is no discussion of any studies or surveys to  
17 determine if the species are present or impact the  
18 project.

19 I would note that the entirety of that  
20 contention is one-and-a-half pages of double-spaced  
21 pages, and they really on cite two statements in it.  
22 We believe the Board decision in Sierra Club 12  
23 applies equally here, although that was restricted to  
24 the dune lizard.

25 Differently in that case, they provided

1 maps and surveys, trying to show the presence of the  
2 dune lizard on the Holtec site. Here they provided no  
3 maps, no data, no citations to anything wrong in the  
4 multiple sections of Section 3.5 or 4.5 of the  
5 environmental report, so we believe the Board's  
6 decision that it was unsupported applies equally here.

7 JUDGE RYERSON: Mr. Bessette --

8 MR. BESSETTE: Yes.

9 JUDGE RYERSON: -- if I recall, part of  
10 petitioner's argument in contention 13 was that ISP  
11 did cite authorities, studies that were not cited in  
12 a way that anyone could find. Didn't they make that  
13 argument?

14 MR. BESSETTE: They said the reports were  
15 not available, but the reports are actually -- the  
16 results of the reports and the findings of the reports  
17 are thoroughly discussed throughout the application in  
18 Section 3.5 and 4.5. So although they said they  
19 couldn't put their hands on the reports, they never  
20 challenged the multiple sections of the ER that  
21 actually the results of all of those studies.

22 JUDGE RYERSON: Okay. But the application  
23 discusses the results of those studies, but the  
24 studies themselves were privately done, and they're  
25 not available. Is that basically the state of

1       affairs?

2                   MR. BESSETTE:  They were not included as  
3       reference in the application.  Yes, Your Honor.

4                   JUDGE RYERSON:  Okay.

5                   MR. BESSETTE:  But if you look at ER  
6       Section 3.5, ER 4.5.4, ER 4.5.10, they are thoroughly  
7       summarized, and petitioners haven't challenged any of  
8       that information.  They brought forth no public data,  
9       no studies, nothing to challenge that information.

10                  JUDGE RYERSON:  Thank you.

11                  JUDGE TRIKOUROS:  And I think that is  
12       something we want to just discuss when we get to  
13       questions, I guess, in the morning or whenever we get  
14       there.  But that's not the end of it, at least not for  
15       me anyway.

16                  MR. BESSETTE:  Yes, Your Honor.  We'll be  
17       available to discuss that in more detail.  And that's  
18       the summary of the remaining Sierra Club contentions,  
19       Your Honors.

20                  JUDGE RYERSON:  Anything further, Judge  
21       Arnold?

22                  JUDGE ARNOLD:  No.

23                  JUDGE RYERSON:  Judge Trikouros?

24                  JUDGE TRIKOUROS:  Not now.

25                  JUDGE RYERSON:  Thank you, Mr. Bessette.

1 MR. BESSETTE: Thank you.

2 JUDGE RYERSON: And the NRC staff? And I  
3 know at the start, I have one question for you about  
4 Sierra Club, I think it would be, 9. Originally the  
5 NRC staff thought -- took a position that Sierra Club  
6 9 was admissible in part -- oh, you're switching  
7 personnel out there. I must have struck a nerve  
8 perhaps.

9 Initially the staff's position was that,  
10 yes, Sierra Club 9 is admissible in part, but I was  
11 wondering, in light of the withdrawal of the exemption  
12 request by ISP, whether you have changed your  
13 position.

14 MS. KIRKWOOD: Yes, Your Honor. Yes. The  
15 exemption request was withdrawn, and so the challenge  
16 to that is now moot, and Sierra Club did not amend  
17 their contention.

18 JUDGE RYERSON: So in the staff's view,  
19 Sierra Club contention 9 is now not admissible at all.

20 MS. KIRKWOOD: Correct.

21 JUDGE RYERSON: Thank you.

22 MR. GILLESPIE: Your Honor, Joe Gillespie  
23 with the NRC staff. With the exception of your  
24 question just now and contentions 4 and 16, the  
25 staff --

1 VOICE: We can't hear.

2 MR. GILLESPIE: The staff has nothing  
3 further to add beyond its initial answer, which we  
4 believe represents our positions. However, with  
5 respect to contention 4, the staff originally stated  
6 that it was admissible in part. However, based on the  
7 additional information provided in the June 28 RAI  
8 response, the staff believes this issue has been  
9 superseded, as it's unclear what the precise dispute  
10 that the petitioner has with the updated application.

11 Again, also a statement was made with  
12 respect to contention 16, high burnup fuel. There was  
13 a statement made that the issues related -- at least  
14 there was a potential that all the designs of the  
15 facility have an approved COC and are out of scope  
16 under 72.46(e). However, that said, there is one  
17 design of the facility -- I just wanted to point this  
18 out -- that is not -- does not have an approved COC  
19 under 72.14 with respect to storage, and --

20 VOICE: We can't understand you. You need  
21 to --

22 JUDGE RYERSON: I think if you move the  
23 mike slightly more directly --

24 MR. GILLESPIE: Is that better?

25 VOICE: Oh, yes.

1 MR. GILLESPIE: That said, regardless of  
2 whether it is out of scope of the hearing with respect  
3 to that one design, the lack of specificity with the  
4 dispute with the application and the lack of dispute  
5 with the provisions in the application related to high  
6 burnup fuel are still dispositive of this issue.

7 JUDGE RYERSON: So you're saying that  
8 is -- we're talking about 16 now. The staff's view is  
9 that is not admissible.

10 MR. GILLESPIE: Yes, Your Honor.

11 JUDGE RYERSON: But your position has  
12 changed on Sierra Club contention 4. Correct?

13 MR. GILLESPIE: Yes, Your Honor. As it  
14 stands today, this --

15 JUDGE RYERSON: Okay. We're here today.  
16 So you have changed your position. You urged -- had  
17 urged that Sierra Club 4 should be admitted in part,  
18 and as we stand here or sit here today, your  
19 position -- the NRC staff's position is that Sierra  
20 Club 4 should not be admitted.

21 MR. GILLESPIE: Yes, Your Honor. Based on  
22 the application as it stands today, because it's  
23 unclear that we've -- the tables have changed such  
24 that it's unclear exactly what particular section is  
25 being disputed in the contention as originally



1 written.

2 JUDGE RYERSON: Okay. Is there any  
3 contention -- is there any Sierra Club contention the  
4 NRC staff asserts is -- currently is admissible?

5 MR. GILLESPIE: No, Your Honor.

6 JUDGE RYERSON: Okay. Thank you. That's  
7 it? Thank you, Mr. Gillespie.

8 MR. GILLESPIE: Thank you so much.

9 JUDGE TRIKOUROS: I have --

10 JUDGE RYERSON: Oh, I'm sorry. I keep  
11 cutting off my colleagues here who have better  
12 questions than I have.

13 JUDGE TRIKOUROS: The original basis for  
14 the staff recommending this admission of contention 4  
15 in part was, I thought, that there was a rather large  
16 discrepancy between the Dr. Resnikoff analysis and the  
17 analysis in the ER.

18 MR. GILLESPIE: Yes, Your Honor.

19 JUDGE TRIKOUROS: All right. Now the --  
20 in response to an RAI, the transportation radiological  
21 analysis was redone. From what I can see is that it  
22 was done over again the same way but in accordance  
23 with a quality assurance program that wasn't in place  
24 in the first analysis.

25 But Dr. Resnikoff's study hasn't changed

1 at all. It's still there, just as it was. The  
2 results of the new analysis in the ER are no different  
3 than the first analysis. So what is it that had made  
4 you change your mind?

5 MR. GILLESPIE: Your Honor, specifically  
6 there was a table in the original application that was  
7 referenced by --

8 VOICE: Can't hear you.

9 MR. GILLESPIE: There was a table in the  
10 original application that was referenced by the  
11 petitioner that identified maximum dose for an  
12 individual nearby and these different consequences.

13 JUDGE TRIKOUROS: Table 4-2.9, I think  
14 you're talking about.

15 MR. GILLESPIE: Yes. Yes, Your Honor.

16 JUDGE TRIKOUROS: Yes.

17 MR. GILLESPIE: And I believe that's  
18 been -- there's most clearly links to table 4-2.11 now  
19 where it links a maximally exposed individual to  
20 different levels of losses of shielding.

21 And in this case, it's unclear exactly how  
22 that original dispute with that one number correlates  
23 to the table now, because there's information on  
24 different levels of shielding and what that  
25 would entail. And there was no discussion of exactly

1       what level of shielding was lost in the original  
2       study.

3               JUDGE TRIKOUROS:    So the Dr. Resnikoff  
4       study is no basis at all in --

5               MR. GILLESPIE:    I'm not sure the staff  
6       would go that far. We haven't made a determination at  
7       this stage as to what a reasonable value for these  
8       individuals are at this stage.

9               JUDGE TRIKOUROS:    Say that again. I'm  
10      sorry.

11              MR. GILLESPIE:    At this stage we have not  
12      made a determination as to what exactly the  
13      consequences of a transportation accident might be as  
14      part of the RAI. It's under more review at this time.

15              JUDGE TRIKOUROS:    Right. In fact, you  
16      asked for just the very piece of information you could  
17      ask for to independently verify it, and it hasn't been  
18      done yet. So I was just curious. But at this point,  
19      you've made the decision to -- that it's not  
20      admissible any longer.

21              MR. GILLESPIE:    Your Honor, it's not  
22      admissible because the table that they disputed has  
23      changed so significantly that we're not clear what the  
24      dispute is at this stage. Instead of having a six-  
25      value table, now there's a 50-value table, and it's

1 just not clear to us.

2 JUDGE RYERSON: Are you suggesting, Mr.  
3 Gillespie, you're going to come back to the Board and  
4 say, Surprise, this is now an admissible contention?  
5 I'm confused as to what you think the process is here.

6 MR. GILLESPIE: Well, the issue has -- at  
7 this stage, I mean, for an admissible contention, it  
8 has to provide a dispute with the application and  
9 point to specific sections of the application. Our  
10 position is that with respect to the original  
11 application and that one -- it is admissible in part  
12 with respect to that issue. But with respect to the  
13 application as it stands today, there's no clear  
14 dispute with it, and as a result, it would be  
15 inadmissible as it stands today.

16 JUDGE RYERSON: Okay. But my question  
17 was: As you -- as the staff continues its work, is  
18 there a possibility you're going to change your mind?

19 MR. GILLESPIE: No, Your Honor.

20 JUDGE RYERSON: Okay. Thank you. Any  
21 other questions, gentlemen, at this -- we may get back  
22 to this issue tomorrow.

23 MR. GILLESPIE: Understood.

24 JUDGE RYERSON: Thank you, Mr. Gillespie.

25 All right. We're going to take a lunch

1 break, and we will resume -- we will try to resume  
2 promptly at 1:45. Thank you.

3 (Whereupon, at 12:15 p.m,. the oral  
4 arguments in the above-entitled matter were recessed,  
5 to reconvene at 1:45 p.m., this same day, Wednesday,  
6 July 10, 2019.)

A F T E R N O O N     S E S S I O N

(1:45 p.m.)

JUDGE RYERSON: Well, we are back on the record, and I believe it is Mr. Lodge's turn. And I should say before you begin, we were talking about the standing issue, and you mentioned that you might want to deal with that quite a bit. You have a number of different clients who have different standing positions. So feel free to say whatever you want, but on the generic issue of -- the generic argument, if you will, we will address that tomorrow. You can address it now as well. That's up to you, but we will address that tomorrow.

MR. LODGE: I'm fine. Can you hear me?

JUDGE RYERSON: It really matters whether you turn right into that microphone and get close to it.

MR. LODGE: Okay. Thank you. May it please the panel and opposing counsel, other intervenors, the Joint Petitioners have a number of things to talk about today. However, I do feel compelled to mention that we feel, my clients, that is, feel that this is being conducted sort of as a show-cause why contentions related to WCS should not be dismissed if they are not sufficiently

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differentiated from similar contentions in Holtec.  
2 And that isn't how it works.

3 The burden for admission of a contention  
4 isn't on how it creates an issue of fact with the  
5 Holtec application, but how it does so with the WCS  
6 application. As the Board realizes, you're required  
7 to arrive at an independent conclusion as to each  
8 distinct license application.

9 What troubles me is the distinct  
10 possibility that you will be put in the situation  
11 where you might have to overrule, in effect, the  
12 similar holdings in Holtec and will constrain  
13 yourselves from doing that so as to not see  
14 intervenors raise those in the appeal of the Holtec  
15 license case. I'm very troubled by the appearance of  
16 the posture of the licensing board at this point.

17 JUDGE RYERSON: I must say, you know, you,  
18 in effect, raised that argument early on with the  
19 motion for recusal which was denied and affirmed by  
20 the Commission. So, I mean, we're aware of that  
21 position, but frankly, boards and courts all the time  
22 consider similar cases, and they just have to  
23 differentiate them.

24 And I will say again what I said earlier.  
25 Our intent in structuring the argument the way we did,

1 giving you this opportunity in addition to responding  
2 to our questions, this opportunity to differentiate  
3 the cases, is solely for your benefit. I mean, you  
4 don't have to do that. You could talk to us about  
5 something else for 45 minutes.

6 But we thought it might be constructive to  
7 do it that way, but you don't have to do it that way.  
8 That's up to you.

9 MR. LODGE: Well, I thank you for that.  
10 We took the Board's order of June 7 as a clear  
11 suggestion as to what the Board wants to hear about,  
12 and so I'm going to turn to that matter of responding  
13 to the June 7 priorities, but I want it clear that the  
14 Joint Petitioners are not waiving their objections by  
15 doing that.

16 JUDGE RYERSON: Understood.

17 MR. LODGE: Thank you. So the first issue  
18 I'm going to talk about is our contention 4, which is  
19 analogous to contention number 3 in Holtec. That  
20 pertains to low-level radioactive waste volumes which  
21 we believe are grossly ignored, understated or  
22 completely unmentioned in the application by WCS.

23 The circumstance that we see are that  
24 there are two major streams of potentially low-level  
25 radioactive waste. Now, I'm aware that the GEIS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 divides the notices that there may be something on the  
2 order of, I believe, 639 cubic yards of low-level  
3 radioactive waste that generically may be expected to  
4 be generated by the CISF.

5 But the numbers are staggering the other  
6 direction. For instance, there are going to be eight  
7 concrete pads. I did my own political science major  
8 simplistic mathematical calculations as to their  
9 dimensions and came up with the fact that probably  
10 gross amount of about 104,000 cubic meters of concrete  
11 will ultimately be involved in the build-out of the  
12 pads.

13 Now, I realize that not 100 percent of  
14 this will be irradiated perhaps. That gets me to  
15 another problem, though. That is that there's no  
16 disclosure in the application nor discussion of low-  
17 level radioactive waste irradiation potential, and  
18 while, as I recall in Holtec, basically the burden was  
19 put on the intervenors to scientifically show or  
20 suggest that this phenomenon would even take place.  
21 I think that's a ridiculous and legally misplaced  
22 obligation.

23 It is the burden of the Applicant to  
24 disclose and discuss its calculations as to what level  
25 of irradiated concrete might be generated. Now, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 also sat here this morning and I'm figuring this room  
2 is about 45 feet side. The ceiling's about 12 feet  
3 tall, and 600 cubic yards or 640 cubic yards is going  
4 to run out maybe 30 feet. So half this room is all  
5 the low-level radioactive waste that is anticipated in  
6 the GEIS to be generated after perhaps a hundred years  
7 and thousands of tons of SNF storage.

8 104,000 meters, cubic meters, or pick a  
9 fraction, 80 percent of that, 60 percent of that if  
10 irradiated would mean more than a hundred times the  
11 volume I just described. It'd be 50 times the size of  
12 this room in terms of the volume of concrete  
13 irradiated low-level radioactive waste.

14 The numbers are staggeringly at odds.  
15 There's a considerable issue of difference between our  
16 position and what is stated in the application. But  
17 wait. Don't answer yet, because there is the  
18 additional completely unmentioned, undiscussed huge  
19 problem, the huge what we'll call the zombie in the  
20 living room of the TADs, the transportation, aging and  
21 disposal canister problem.

22 In approximately 2006, Department of  
23 Energy announces to the world that they are going to  
24 insist that there be a standardized canister used for  
25 deep repository storage, and for efficiency's sake,

1 that they'll have to come up with a standard design,  
2 but upstream of the repository is when the radioactive  
3 waste has to be loaded into the canisters.

4 But what's happened in the interceding  
5 dozen or so years is that the radioactive waste is  
6 getting loaded into a bunch of different canisters,  
7 most of which aren't even fit for transport usage at  
8 this time, so they are rapidly becoming LLRW in their  
9 own right. But they're sitting at reactor sites.

10 The problem is when does the material get  
11 reloaded dangerously into transport canisters. Does  
12 it happen at the reactor sites, when you have a dozen  
13 sites that are closed and have no dry transfer or  
14 other storage -- DTS or other capability, or does it  
15 happen at WCS, which is saying, We are not planning on  
16 having a DTS system for the first century.

17 There is also the question of what happens  
18 if that occurs at DTS. You then are generating untold  
19 volumes of metallic canisters that undoubtedly will be  
20 irradiated. I realize that part of the mitigation  
21 could be some sort of remediation and possible reuse  
22 of the concrete or the metallurgical steel, but these  
23 are huge quantities of low-level radioactive waste.  
24 That latter is not mentioned anywhere in the  
25 application. It's not discussed. It's not a problem

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       apparently, even though it is a major, major issue.

2               So there is this entire problem of low-  
3       level radioactive waste that is at -- considerably  
4       controverted, let's say, by the prospects. Again, I  
5       repeat. I don't believe it is the burden of  
6       intervenors to have to prove beyond a reasonable doubt  
7       that there will be a ton more than is projected in the  
8       GEIS. I believe that the environmental and health and  
9       safety aspects, the AEA and NEPA problems that this  
10      posers, do have to be disclosed, and it isn't.

11              Now, we turn to contention 10, which is  
12      also number 10 in Holtec. It's the matter of  
13      operation of the facility beyond 120 years. There is  
14      considerable evidence suggesting and, in fact, growing  
15      evidence suggesting that WCS may operate beyond that,  
16      I guess, presumed design basis.

17              As recently as late March or early April  
18      this year, former Texas governor, now Department of  
19      Energy Secretary Rick Perry indicated to a  
20      congressional committee with considerable alacrity  
21      that it was anticipated and more or less something he  
22      was not uncomfortable with that there's a distinct  
23      possibility that the operators of WCS and Holtec would  
24      possibly at some future point just walk away, and  
25      these two facilities become de facto permanent sites

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for disposal of spent nuclear fuel.

2 That's a kind of a stunning revelation,  
3 notwithstanding the fact that -- I guess it's simply  
4 surprising, since the promise, the pledge, the  
5 marketing being peddled to the public says something  
6 quite different, that it's interim, that we'll deal  
7 with this. This is only to buy a little bit more  
8 time.

9 And as Ms. Curran indicated this morning,  
10 the NWPA policy as it exists on the books definitely  
11 ties interim storage to the fate of a real repository.  
12 So, again, this is a very, very serious problem.  
13 There are indications in the record that we provided  
14 in our petition, which, of course, was filed well  
15 before Secretary Perry's comments, that even Holtec  
16 had admitted the possibility that a facility should  
17 expect to operate for perhaps 300 years.

18 But there are other problems. There's a  
19 swap-out of the canisters, no matter if they're TADs  
20 or other types of storage canisters. There is the  
21 growing problem of accidents, of leakage, of  
22 contamination, and no DTS system occurring in that  
23 first hundred years.

24 The problem is that this is an evolving  
25 plan. It's a moving target. It is not nailed down to

1 paper. There are changes that are being made in the  
2 plan even as we speak. It's a very troubling  
3 situation. That is a contention that differs from the  
4 Holtec one insofar as the fact that Secretary Perry  
5 was talking with a certain degree of knowing and  
6 personal experience as governor of the WCS facility  
7 being one that could be walked away from.

8 Moving on to contention WCS -- our  
9 contention WCS case number 12, which was number 4 in  
10 Holtec. We contend that the GEIS simply does not  
11 apply here, because of the fact that there are so many  
12 design differences so far between WCS and the  
13 theoretical facility described in the generic  
14 environmental impact statement.

15 The GEIS, as I understand it, was more or  
16 less taken from the model of private fuel storage  
17 earlier this century. The WCS design doesn't employ  
18 a spent fuel pool or other -- and I'm quoting -- other  
19 bare fuel handling capability. The cask handling  
20 building is designed to handle canisterized material  
21 and does not have the capability to handle bare fuel.

22 A recovery method for the unlikely loss of  
23 confinement event is independent of any bare fuel  
24 handling facilities. Additionally, the WCS CISF does  
25 not have a spent nuclear fuel pool or any associated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 waste generated as a result of pool operations or pool  
2 maintenance.

3 The WCS emergency response plan does not  
4 include arrangements and procedures for omissions  
5 mitigation such as reduction -- that is to say,  
6 reduction of emissions to the surrounding environment  
7 of radiation or radioactive material from spent  
8 nuclear fuel as a result of damage to SNF assemblies  
9 or containers.

10 So we have another very large set of  
11 distinctions that we believe mean that the WCS  
12 proposal has to be treated as less -- as not a generic  
13 proposal with the insularity of these critical  
14 distinctions unresolved issues.

15 Turning to our contention 13, which was  
16 comparable to -- roughly comparable to number 6 in the  
17 Holtec case, reprocessing. There's been -- there have  
18 been and are continuing to be new developments in  
19 reprocessing. This panel sitting as the Holtec Judges  
20 ruled that the reprocessing contention was  
21 inadmissible because there isn't a hard enough --  
22 hardened enough plan or intention that we were able to  
23 find and put into the record.

24 We believe that, number one, legally  
25 speaking, we're not required to show a hardened

1 printed completed application or plan. We believe  
2 that there are very considerable pieces of evidence  
3 from a variety of sources as to the intentions of  
4 several of the parties and several of the moving parts  
5 of both Holtec and WCS.

6 There have been a number of pronouncements  
7 widely publicized, nationally, as it were, by Holtec  
8 officials and ELEA officials of -- pardon me -- not  
9 Holtec officials, but ELEA, the Eddy-Lea Environmental  
10 Alliance, which is the New Mexico sponsor, of course,  
11 of the Holtec facility site.

12 They would love to see and believe for a  
13 variety of economic reasons that New Mexico would be  
14 a fine site for a plutonium reprocessing type of  
15 facility. In Texas, his name comes up again. Former  
16 Texas Governor Rick Perry, now Secretary of Energy, in  
17 2014 a report from his Texas Council on Environmental  
18 Quality was issued that said reprocessing is a fine  
19 idea; the assets can be easily put in place. There  
20 needs to be some type of arrangement made for this  
21 sort of reclamation of plutonium.

22 And the sponsor of the WCS proposal is  
23 Orano. Orano is a surviving entity, I guess, of  
24 AREVA. AREVA has a demonstrated history of being  
25 perhaps the largest corporate plutonium reprocessing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 company in the world, was a large promoter of GNEP,  
2 the Global Nuclear Energy Partnership, in the early  
3 part of this century, about ten or eleven years ago,  
4 which was an initiative that went nowhere ultimately  
5 but has not been forgotten nor apparently abandoned.

6 Moreover, under Secretary of Energy Rick  
7 Perry, last fall the DOE issued notice in the Federal  
8 Register, asking for comments. It wasn't a  
9 rulemaking, but it was sort of an interesting inquiry,  
10 asking for comments on what -- whether there was any  
11 strong feeling about deregulating the waste generated  
12 from nuclear reprocessing down to the level of low-  
13 level radioactive waste, so they would not have to be  
14 as expensively isolated and contained as high-level  
15 nuclear waste.

16 I don't know what the status of that  
17 inquiry is, but it happened on the watch of former  
18 Governor Perry, who is a -- apparently a reprocessing  
19 booster, as we know.

20 So beyond that, in the congressional  
21 hearings in both houses just in the past three or four  
22 weeks, discussing the Nuclear Waste Policy Act as  
23 amended by 2019 proposals, the Nuclear Energy  
24 Institute CEO has been -- or other officers have been  
25 testifying before congressional committees about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 desirability of reopening the reprocessing can of  
2 worms via statutory changes.

3 And there's a history of statutory  
4 changes. Back in the early part of this century,  
5 approximately 2004, waste incident to reprocessing  
6 statutorily became low-level radioactive waste for a  
7 couple of sites. There has been at least one other  
8 legislative attempt to expand it from, I believe it  
9 was, Savannah Research site and another one, but to  
10 expand it to include now Hanford and West Valley.

11 So there was considerable legislative --  
12 there's some success in making that kind of change,  
13 apparently relatively easily. And there's  
14 contemporary discussion going on about nuclear  
15 reprocessing in Congress. We believe you don't need  
16 a hardened plan. We believe that the installation of  
17 a CISF in West Texas would enable and facilitate  
18 reprocessing. It is the missing ingredient, in fact,  
19 that would ultimately gel the rest of a plan.

20 We believe that NEPA requires cumulative  
21 impacts analysis of this strong possibility, that a  
22 NEPA coverage of this proposal absolutely needs to  
23 include serious identification and analysis of  
24 reprocessing as an alternative.

25 Now, I'd like to switch -- I'd like to

1 move the microphone, if I may, for a few minutes and  
2 talk about standing. Is this thing still working?

3 On behalf of seven different groups and an  
4 individual, we submitted a couple of dozen  
5 declarations in support of our petition to intervene  
6 in this. I want to talk about approximately ten of  
7 them. And I'm going to be responding to the critique  
8 of the Nuclear Regulatory Commission staff in their  
9 opposition to the Joint Petitioners having any  
10 recognizable standing.

11 JUDGE RYERSON: And if I can just  
12 interrupt here for a moment --

13 MR. LODGE: I'm sorry.

14 JUDGE RYERSON: -- Mr. Lodge. These are  
15 all part of your petition. Am I correct?

16 MR. LODGE: Well, they're either referred  
17 to in our petition or they are lifted from -- they're  
18 within the discussion of rail transportation within  
19 the application.

20 JUDGE RYERSON: Okay. I mean, these are  
21 not new documents, in other words.

22 MR. LODGE: No, no, no.

23 JUDGE RYERSON: Okay.

24 MR. LODGE: And let me sort of --

25 JUDGE RYERSON: I'm sorry. I said

1 initially your petition. But you said some are from  
2 the application itself.

3 MR. LODGE: They're all from the  
4 environmental report.

5 JUDGE RYERSON: Okay. All right.

6 MR. LODGE: But first I want to talk about  
7 what the declaration said. The NRC sort of derided  
8 the declarations as being templated and essentially  
9 not reflecting sufficient proximity or danger, as it  
10 were, to the transportation routes. These all -- all  
11 of the petitioners have manifested some serious  
12 concerns about transportation.

13 The petitioners -- pardon me -- the  
14 declarants identified routine radioactive emissions as  
15 something that they were concerned about, as well as  
16 nonroutine. And in our petition, we discuss the  
17 standard for Yucca Mountain that was referenced for  
18 purposes of the zone of influence, I believe is the  
19 name, or pardon me, the region of influence, the ROI,  
20 as being 50 miles for serious accidents, and  
21 approximately 800 meters either side of a  
22 transportation route for routine radioactive  
23 emissions.

24 The problem that we have identified is  
25 that apparently it would be helpful to illustrate on

1 maps the principal means of transportation that is  
2 going to be used for the radioactive waste.

3 So obviously this is a national map. This  
4 appears in the application -- pardon me -- in the  
5 environmental report WCS submitted. The circle --  
6 let's see if I can point to things. It's not  
7 cooperating.

8 The circle that you see in the lower left-  
9 hand side is the region where WCS would be located,  
10 and as you can also see, there's kind of a funneling  
11 effect. The vast majority of the radioactive -- the  
12 spent nuclear fuel is going to come from eastern  
13 reactors. There is some that will come mainly down  
14 the West Coast and across Arizona.

15 But there's a funneling effect that  
16 occurs. The waste will come across from New England,  
17 from the Central States, as it were, the Piedmont, I  
18 guess, and ultimately from the Southeast, will  
19 generally head west through major rail corridor areas.  
20 As you can see, by the time things get to Dallas,  
21 the -- we're down to only a couple of major railroad  
22 routes from the East.

23 So there's a funneling effect. If there  
24 are as many as 80,000 trips, 30,000 of which are bound  
25 for WCS, we're talking certainly about three-quarters

1 or more of those transport trips coming from the East  
2 and an awful lot of them coming from the Northeast and  
3 also in the Southeast, so just to give the Board that  
4 idea as to what the national map looks like.

5 MR. MATTHEWS: I'm sorry to interrupt.

6 MR. LODGE: Yes.

7 MR. MATTHEWS: May I ask, for the benefit  
8 of the record, what either page or figure number --

9 MR. LODGE: Sure.

10 MR. MATTHEWS: -- that is from the  
11 application, just so those reading the transcript know  
12 what we're all looking at.

13 MR. LODGE: Yes. Thank you. See that  
14 Figure 2-2-4. I believe it's -- it may be page 2 --  
15 I think I turned it on its side. Page 2-71, I think,  
16 from the first ER.

17 JUDGE RYERSON: There's a date on there.  
18 I don't know if that's helpful.

19 MR. LODGE: Yes. 11/18/16. Good. Thank  
20 you. All right.

21 Then there is this, and we'll identify it.  
22 Figure 2-6-1. That's page 2-78 from revision 2 of the  
23 ER. And I just want to point out a couple of facets  
24 here. One of them is that my Citizens Environmental  
25 Coalition group from Upstate New York has posited

1        declarations that indicate geographical proximity to  
2        that blue route, that rail route that's identified,  
3        and that the Nuclear Energy Information Service  
4        declarants are in Chicago, which is clearly traversed  
5        by that same route.

6                As you can see again, there's about a  
7        approximately, roughly 50-mile stretch of rail that  
8        goes up to and a little bit past WCS. Also there's an  
9        obvious trunk route. I believe that's from the San  
10       Onofre, but probably is a share of the trunk route  
11       that would come down from maybe the Trojan plant as  
12       well as Rancho Seco and Diablo Canyon and Mesa Verde.  
13       I don't know.

14               Also, there's this interesting phenomenon,  
15       and this all assumes, of course, that Yucca Mountain  
16       is the repository site, but there's kind of a double  
17       whammy of transport here. Initially the waste would  
18       go to WCS for some period of time, then backtrack --  
19       and this would be duplicative of a route probably  
20       traversed by many thousands of canisters, but up into  
21       Oklahoma and near to Kansas. You would have  
22       duplication of the route, and then an entirely new  
23       route taken out to Nevada.

24               So there would be -- you're moving the  
25       waste twice, and you're moving it, if Yucca is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ultimate goal, you're moving it quite far. So -- and  
2 this, of course, this route is going to be the same  
3 for every storage canister that finds its way to WCS.

4 Finally I'd like to show you more of a  
5 localized regional view of the rail system in Texas.  
6 There's only one -- once you get off the main east-  
7 west line -- and incidentally, this east-west line  
8 goes through El Paso very clearly.

9 But once you get off of this route and  
10 turn north, essentially 100 percent of the spent  
11 nuclear fuel that's being delivered to WCS is going to  
12 travel this route, the blue line, all the way up to  
13 WCS. And it's all going to go through the small towns  
14 nearby.

15 It's -- a lot of it is going to go past --  
16 well, I'll start naming names in a minute, but the  
17 circumstance that I want to point out is that the  
18 funnel ultimately funnels everything down to this  
19 route, and if we can demonstrate that -- what? --  
20 30,000 separate trips are likely to be made on that  
21 particular rail line and that there are people living,  
22 recreating, working in proximity to it, we should --  
23 our petitioners should be accorded some standing.

24 Up in Eunice, New Mexico, which is about  
25 four or five miles from the WCS, one of the declarants



1 for the SEED coalition is Brigitte Gardner-Aguilar,  
2 who essentially lives near, within perhaps a couple of  
3 blocks, of one or two Sierra Club declarants.

4 The NRC has recommended standing be  
5 granted to the Sierra Club but when we have  
6 demonstrated evidence at more than adequate evidence  
7 of Ms. Gardner-Aguilar's presence in the same zone, if  
8 you will, the NRC staff opposes.

9 JUDGE RYERSON: Excuse me. In the staff's  
10 defense, did you mention that in your pleadings, or  
11 did they have to ascertain that solely from knowing  
12 where Eunice is and looking at the declaration?

13 MR. LODGE: I would have expected the NRC  
14 staff to read the declaration --

15 JUDGE RYERSON: I understand. My question  
16 was whether you brought it to their attention.

17 MR. LODGE: In rebuttal, yes.

18 JUDGE RYERSON: In -- I know in rebuttal,  
19 but that was after they filed. We will get to asking  
20 them whether they've changed their mind on that.  
21 Thank you.

22 MR. LODGE: Very good. Thank you. We  
23 also have SEED member Elizabeth Padilla who lives in  
24 Andrews, which is about 37 miles from the WCS site --  
25 it's the county seat in the same county as WCS -- and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 who attests to frequently traveling, often with family  
2 members, directly past and adjacent to WCS, ultimately  
3 down to El Paso, and I believe she mentions that she  
4 crosses the rail line there at Monahans in route to El  
5 Paso. Monahans is the intersection of the yellow and  
6 blue.

7 Patricia Mona Golden, who is another SEED  
8 declarant, lives a little bit west or to the left of  
9 the blue line in Van Horn, Texas, which is between  
10 Monahans and El Paso. And as I indicated, that  
11 appears to be likely a prime route for spent nuclear  
12 fuel moved from western power plants. So it is very  
13 likely that hundreds of shipments will pass by her  
14 town.

15 She lives a block from the rail line and  
16 works a hundred feet from the rail line, also in Van  
17 Horn. And I would incidentally like to point out that  
18 with routine emissions -- I realize that there's a lot  
19 of discussion about how close can you stand and how  
20 dangerous can it get. The thing is that there's a  
21 direct relationship. The farther you are from the  
22 canister, the lower the radiation.

23 The DOE apparently believes that out to  
24 about 800 yards, that there can be detectable  
25 radiation levels from a spent nuclear fuel or a high-

1 level radioactive waste canister, and any amount of  
2 radioactive exposure that is involuntary can have both  
3 medically and scientifically have implications. But  
4 it also is something to which the general public  
5 should not be exposed.

6 JUDGE RYERSON: A question and also just  
7 to alert you, you have about ten minutes, Mr. Lodge.

8 MR. LODGE: Yes. Very good. Thank you.

9 JUDGE RYERSON: But what -- to what level  
10 of assurance do we have that these transportations  
11 would, in fact, be used? I mean, this is a -- would  
12 be perhaps ultimately a 40,000 metric ton facility.  
13 That is far less than the current amount of spent  
14 nuclear fuel, and so presumably it's not taking all of  
15 the nation's nuclear fuel. How do we even know that  
16 there would be any fuel from the West going to this  
17 facility?

18 MR. LODGE: If -- this gets into the thing  
19 that troubles me the most about the controversy over  
20 taking title and DOE involvement. If DOE is involved,  
21 DOE is the aggregator. They are the customer of WCS  
22 or Holtec. And if they are aggregating the waste,  
23 then they're picking the routes.

24 But I, first of all, would observe that --  
25 I don't know if I can bring a map up again. The last

1 map I showed you, the 50 or -- that. There's 100  
2 percent certainty that that blue line is going to  
3 be -- it's going to see possibly tens of thousands of  
4 shipments, 100 percent, if the WCS business model  
5 reaches that which is not -- attains the success that  
6 is not statutorily allowed right now.

7 So how can I predict it? I can predict  
8 that stretch of it with very high confidence. I can  
9 also suggest that WCS is proposing 40,000 metric tons,  
10 which represents roughly 40 percent of the current  
11 inventory of spent nuclear fuel.

12 And if they are successful in lining up  
13 customers, whether it's one or many separate private  
14 utilities, they are going to undoubtedly be using the  
15 northern route that I showed you in the map from San  
16 Onofre.

17 They undoubtedly -- assuming that they are  
18 going to get customers from the northeastern  
19 corridor -- I think that the problem here is that this  
20 is an unprecedented, absolutely globally unprecedented  
21 transportation scheme, that it has not been well  
22 thought out even close, that it is not something that  
23 legitimately can be kicked down the road eight or ten  
24 years until the eve of when the shipments begin  
25 because of the vast amount of emergency coordination

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and understanding and communication, and for that  
2 matter, consent of communities through which the waste  
3 is going to be transported.

4 I think that there are many unworked-out  
5 problems that the Applicant is able to hide from by  
6 saying, Oh, well, nothing's concrete, pardon the pun.  
7 Nothing is set to paper. Nothing is firm yet. I  
8 think what is firm is that there is a very high  
9 probability that most of the major rail trunk lines  
10 will be involved, and they will not be involved a  
11 couple of times. They'll be involved hundreds of  
12 times.

13 I want to show you another one. I want to  
14 talk about Michigan. I want to talk about the Fermi  
15 II Nuclear Power Plant, which is roughly halfway  
16 between -- it's on the green or bluish line between  
17 Detroit and -- you can't really see it very well, but  
18 Toledo at the Ohio border. Monroe is about roughly --  
19 the Fermi plant's about 20 miles north of the state  
20 line.

21 There's only one rail route. There's one  
22 rail spur that goes into the Fermi installation. It  
23 comes out, and the only way, the only direction in  
24 which SNF will be transported is north through heavily  
25 urban, downtown area Detroit, on out, as you can see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the -- sort of the tan rail line, on out to  
2 western Michigan and on down through the Chicago  
3 region.

4 I have three declarations from people  
5 living six miles or less from Fermi II who all attest  
6 there's only one rail line in and out, and where it  
7 goes. Two of those three declarants are within about  
8 2.5 miles of the Fermi plant.

9 It is very clear to me that there's a 100  
10 percent probability, if the stuff goes by rail, that  
11 it's going through Detroit. And, again, I can't  
12 predict with 100 percent certainty as to the entire  
13 national rail grid, but when you are getting into the  
14 possibility of tens of thousands of shipments,  
15 separate canister shipments, it is, it seems to me,  
16 very inevitable that there will be an awful lot of  
17 those transportation corridors ultimately put to use  
18 in the service of transporting spent nuclear fuel.

19 JUDGE RYERSON: And you have approximately  
20 five minutes.

21 MR. LODGE: Thank you. I will be wrapping  
22 up. The petitioners base their claim for standing on  
23 proximity plus standing. And you have to have an  
24 inherently dangerous radioactive material, in  
25 combination with some sort of geographical proximity.

1 I believe in many, many cases, we have  
2 demonstrated that. A question, of course, is what  
3 is -- how far away is safe? And that's why we have  
4 advanced the argument that a 50-mile radius in the  
5 event of serious accident ought to be used. The DOE  
6 thinks so, so far, and we believe that in -- and  
7 that's for nonroutine problems that occur in  
8 transportation.

9 Just the routine emissions of radiation  
10 are problematic enough. The declarants state that  
11 they have concerns about driving by or driving on  
12 highways parallel and close to rail lines, so they  
13 have thought about, consciously taken into account the  
14 facts of potential exposure to unwanted minor amounts  
15 of radiation.

16 We believe that because of the inherent  
17 dangerousness of this material, that our situation,  
18 the situation of my clients, is very distinguishable  
19 from the cases that were cited by this panel sitting  
20 as the Holtec panel. The cases that were cited talked  
21 about a few one-shot or few transports of low-level  
22 radioactive waste, which is deemed not to be so  
23 dangerous and pervasive.

24 They weren't cases that addressed the  
25 possibility of thousands, of tens of thousands of

1 shipments. And as you work things through the funnel,  
2 you get a smaller and smaller, more definite routing  
3 population that is possibly exposed to serious  
4 problems, or at least routine emissions.

5 I'd just like to also point out with  
6 respect to Diablo Canyon -- I'm not going to move the  
7 map around to focus on Southern California. But  
8 again, we have declarants, two of them, who identified  
9 their proximity and location to rail and highway  
10 routes, the only routes coming out of the Diablo  
11 Canyon complex, and that they were within about four  
12 or five miles, I think, for each of them.

13 With respect to Cervelle de Aslan  
14 [phonetic], who is a public citizen declarant -- she  
15 lives in El Paso -- stated that she lives within, I  
16 believe, a block of the major rail line that we're  
17 talking about that goes through El Paso. Rev. James  
18 Caldwell of Houston, which is another funneling point  
19 across the southern tier of states, lives about a mile  
20 from a major funneling rail line.

21 If you saw on the map, the closer you get  
22 to the Dallas-Fort Worth area, the greater the  
23 funneling effect there. Dallas-Fort Worth seems to  
24 become the zone through which a vast majority of the  
25 waste will ultimately travel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           We believe that we've made a very  
2           compelling case for standing, at least of some of the  
3           petitioning organizations, and that that needs to be  
4           closely scrutinized. I apologize to the extent that  
5           perhaps we should have relied more on the maps in our  
6           written arguments, but the maps were there. The  
7           information in the declarations was always there to be  
8           laid and scrutinized alongside the maps. It is  
9           certainly time for that to happen.

10           I am reserving the right to give any  
11           further presentations or answers respecting the other  
12           contentions I haven't talked about. Thank you.

13           JUDGE RYERSON: Okay. Thank you. I have  
14           one question. If hypothetically we were to conclude  
15           that SEED has standing but not your other many, many  
16           clients, would you be continuing this proceeding on  
17           behalf of SEED?

18           MR. LODGE: Certainly would.

19           JUDGE RYERSON: Okay. Judge Arnold, do  
20           you have --

21           JUDGE ARNOLD: No.

22           JUDGE RYERSON: -- any questions? Judge  
23           Trikouros?

24           JUDGE TRIKOUROS: No.

25           JUDGE RYERSON: Thank you, Mr. Lodge.

1                   Let's see. Mr. Bessette.

2                   MR. BESSETTE: Yes, sir. Good afternoon.

3                   I'm -- as we've done before, we're going to be  
4                   discussing groups of Joint Petitioners' contentions.

5                   As a preliminary matter, Mr. Lodge kept  
6                   referring to WCS as the Applicant. I just want to  
7                   make sure we're clear that it's not WCS. It is  
8                   Interim Storage Partners.

9                   VOICE: Can you speak a little louder,  
10                  please.

11                  MR. BESSETTE: Yes. It is Interim Storage  
12                  Partners, not WCS.

13                  I'm going to go through several of the  
14                  contentions, but I'd like to start in order of what  
15                  Mr. Lodge addressed. On contention 4 related to low-  
16                  level rad waste, he stated that there's no discussion  
17                  of the low-level rad waste potential for contamination  
18                  on the application. That is demonstrably false.

19                  It is throughout the application,  
20                  including in ER Chapter 4, but more importantly, it's  
21                  discussed in the license application, Appendix B, the  
22                  decommissioning -- preliminary decommissioning plan;  
23                  in Appendix D, the decommissioning funding plan. And  
24                  the decommissioning funding plan very conservatively  
25                  assumes that 20 percent of all the pad surfaces are

1 contaminated and go to low-level rad waste.

2           Importantly, Joint Petitioners never even  
3 referenced Appendix B or Appendix D of the license  
4 application.

5           With regard -- he had some discussion of  
6 burden. We hear this complaint a lot, but at this  
7 point in the proceeding, intervenors absolutely have  
8 the burden to propose inadmissible contention. And  
9 fundamentally they have a burden to review the  
10 application and dispute it. So if there's entire  
11 sections of the application that discuss the  
12 information they're looking for and they don't  
13 challenge it, that is a fundamental failure.

14           With regard to Joint Petition 4, I refer  
15 the Board to their decision in JP-3, and that equally  
16 applies here. The continued storage rule GEIS  
17 discusses low-level rad waste generated during  
18 decommissioning and cites small impacts. Any  
19 challenges to decommissioning activities, which are  
20 well beyond the license term of the facility, are  
21 challenges to the Continued Storage Rule.

22           And petitioners only speculate about the  
23 volumes and causes of the low-level rad -- the gross  
24 volumes of low-level rad waste that they estimate. So  
25 I refer the Board to their decision in Joint Petition

1 3.

2 With regard to Joint Petition contention  
3 10, Mr. Lodge referred to some statements by Secretary  
4 Perry. Those statements are not in the record.  
5 They're not part of the petition, and frankly, no one  
6 even knows what he's talking about. We're not  
7 familiar with those statements. So we'd seek to  
8 strike any discussion of that.

9 If he thought it was important, he could have  
10 amended his petition, and he certainly did not do  
11 that.

12 With regard to Joint Petition 10, the  
13 indefinite length of interim storage requires a NEPA  
14 evaluation beyond 60 years. We refer the Board to  
15 their decision in Joint Petition 10 in the Holtec  
16 proceeding. That applies here.

17 The license application is only for 40  
18 years, and so possible renewals are -- anything  
19 environment -- environmental impacts beyond that  
20 period are beyond this proceeding. The Continued  
21 Storage Rule incorporates impact determinations from  
22 the GEIS, which considers environmental impacts well  
23 beyond this period, and NRC regulations bar  
24 impermissible challenges to Continued Storage Rule  
25 without waiver.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 With regard to their arguments regarding  
2 cherry-picking of containers, we would note that is  
3 pure speculation. They've cited zero examples of how  
4 such a container could even exist at a plant site, and  
5 further, there's nothing anywhere in our application  
6 that suggests we would cherry-pick and leave  
7 containers behind.

8 With regard to Joint Petition 12, where  
9 they said the Continued Storage Rule does not apply  
10 here, it was unclear the differences he was trying to  
11 cite to the Holtec petition. The fact is the  
12 Continued Storage Rule evaluates a similar facility,  
13 the PFS facility, which has the same ultimate capacity  
14 of 40,000 metric tons uranium, and the same footprint.

15 So there really are no differences, and  
16 the Continued Storage Rule acknowledges there may be  
17 site-specific differences of particular ISFSI  
18 locations, but those differences are to be evaluated  
19 as part of the site-specific license, which we  
20 entirely did here in the environmental report.

21 With regard to Joint Petition 12, I refer  
22 the Board to their decision in Joint Petition 4 in the  
23 Holtec proceeding. It included issues regarding no  
24 need to consider a dry transfer facility at this time,  
25 and again, the GEIS acknowledges that not all storage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facilities will match the assumed generic facility.  
2 Site-specific impacts are analyzed as a licensing  
3 action.

4 With regard to a few other contentions,  
5 Your Honor, we'd like to -- on Joint Petition 8, which  
6 was no-action alternative must discuss the hardened  
7 on-site storage and at least four other alternatives,  
8 including dry transfer of storage, modifications to  
9 the emergency plan, modifications to the ISFSI design,  
10 and ownership by the U.S. Government, we'd refer the  
11 Board to the decision in Holtec 6 where they discuss,  
12 among other things, HOSS is not relevant to the no-  
13 action alternative.

14 With regard to Joint Petition contention  
15 2, cherry-picking of canisters, we've already  
16 discussed that as it was raised earlier. And Joint  
17 Petitioners 11, which is no plans for a dry transfer  
18 system to handle damaged, leaking or contaminated  
19 systems, which we would refer the Board to their Joint  
20 Petition 7 which applies here.

21 There is no facts or expert opinion that  
22 canisters will arrive damaged to the interim storage  
23 facility, and we cite to the PFS decision that an  
24 accidental canister breach is not a credible scenario.  
25 The Board cited to that decision in CLI 04-22, and we

1 cite to that as well.

2 If you have no other questions, Your  
3 Honor, I'll pass it on to one of my colleagues.

4 JUDGE RYERSON: Thank you. Any questions,  
5 Judge Arnold? Or Judge Trikouros?

6 JUDGE ARNOLD: No.

7 JUDGE TRIKOUROS: No.

8 J U D G E R Y E R S O N :

9 Thank you, Mr. Besette.

10 MR. LIGHTY: Thank you, Your Honor. Just  
11 very briefly, one additional contention here that we  
12 heard about earlier from Joint Petitioners is Joint  
13 Petitioners 13 regarding reprocessing. I would note  
14 that counsel didn't note any distinctions in terms of  
15 the applications, the facts, the proceedings at issue.

16 He simply noted the Board's citation in  
17 the other proceeding to NEPA case law, that noted that  
18 NEPA doesn't require analysis of potential actions  
19 that are merely contemplated. Joint Petitioners'  
20 argument was, quote, "We disagree legally," end quote.  
21 That's not a distinction between the proceedings, and  
22 the Board's decision in the other proceeding is fully  
23 applicable here on the reprocessing contention.

24 Very briefly, I would like to discuss a  
25 couple of the comments from Joint Petitioners on

1 standing. I know we will talk about standing, the  
2 more global issue, proximity plus presumption standing  
3 at a later point. But just a couple of items for the  
4 Board to keep in mind.

5 The maps that counsel referred to from the  
6 environmental report were there for the purposes of  
7 NEPA. This was to identify information, to provide  
8 representative routes, to provide information, because  
9 there are no specific transportation routes identified  
10 at this point. There are no specific transportation  
11 routes requested to be approved in this proceeding.  
12 And so a proper understanding of those maps is  
13 important for understanding what they do and the story  
14 they do and do not tell.

15 For example, counsel spent a few minutes  
16 speaking about Fermi up in Michigan. As noted in our  
17 pleadings, the spent fuel at Fermi is not in a type of  
18 canister that could even be accepted at ISP pursuant  
19 to this application, so again, the maps and the routes  
20 in the ER simply don't stand for likely routes to ISP.  
21 And that's important to keep in mind.

22 As to counsel's statement that any amount  
23 of radiation provides a basis for standing, that's  
24 simply an incorrect statement of the law. We've cited  
25 case law in our answer, noting that radiation that's



1 four or five orders of magnitude below background  
2 levels clearly falls below the level that could be  
3 considered substantial enough for standing purposes.  
4 So I think it's important to correct the record as to  
5 the current state of the law on that issue.

6 And then finally, I would note, as the  
7 Board correctly pointed out, Joint Petitioners raised  
8 an entirely new theory of standing as to their SEED  
9 individuals in the reply. It's inappropriate to raise  
10 an entirely new theory of standing in a reply, and  
11 that cannot be the basis for their standing argument.

12 They submitted their petition, relying  
13 entirely on alleged proximity to hypothetical  
14 transportation routes, and the Commission has spoken  
15 clearly on this, that -- and noted, for example, in  
16 CLI 04-17, mere geographic proximity to potential  
17 transportation routes is insufficient to confer  
18 standing.

19 In other words, we're out of the proximity  
20 zone here. We're talking about going to traditional  
21 standing, if you want to claim standing based on a  
22 transportation route. And Joint Petitioners offer no  
23 information that would establish traditional standing  
24 in their argument.

25 JUDGE RYERSON: But the declaration from

1 Ms. Gardner-Aguilar established that she lives within  
2 five or six miles of the proposed facility, doesn't  
3 it?

4 MR. LIGHTY: It provided an address. It  
5 did not provide any distance to any particular  
6 facility, transportation route, the ISP facility.  
7 It --

8 JUDGE RYERSON: It's not a big place,  
9 though. If she lives there, she has to be within a  
10 few miles of the facility.

11 MR. LIGHTY: It's possible. It wasn't  
12 pled. In other words, it wasn't demonstrated. Again,  
13 the burden here is on --

14 JUDGE RYERSON: Well, the facts are there.  
15 The facts are there. Granted, I believe that the  
16 principal theory -- there are eight Joint Petitioners  
17 or something like that, and the vast majority,  
18 probably all of them, were talking about  
19 transportation routes. But the facts are -- you'd  
20 have to admit, the facts are there in the declaration.

21 If -- now, I know you disagree. But if  
22 one thought that being within six miles of the  
23 proposed facility gave you standing, they have  
24 established that, haven't they?

25 MR. LIGHTY: I certainly agree that Ms.

1 Gardner's petition gave her home address. If it was  
2 incumbent on the Board and the parties and the staff  
3 to go and Google and do their own research to  
4 determine whether there is standing, then I would say,  
5 yes, that's --

6 JUDGE RYERSON: But that was explicitly  
7 clarified in the reply, was it not?

8 MR. LIGHTY: Raising a new theory of  
9 standing in the reply, yes.

10 JUDGE RYERSON: Well --

11 MR. LIGHTY: Yes.

12 JUDGE RYERSON: I guess we're -- we have  
13 to decide whether that's a new theory or not. It  
14 would be impermissible, but a fact was clarified in  
15 the reply.

16 MR. LIGHTY: Yes. And if you read the  
17 declaration itself, it says, I live within a certain  
18 distance of a transportation route. It does not say,  
19 I live within a certain distance of a facility. So  
20 the declaration, I think, speaks for what the theory  
21 being advanced in the declaration was.

22 JUDGE RYERSON: I'm sorry. Continue, Mr.  
23 Lighty.

24 MR. LIGHTY: And one final point of  
25 clarification here. ISP will not be the shipper of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spent fuel in this application. It's not requesting  
2 authorization to do that. It does not contemplate  
3 doing that in the future. That's something that  
4 someone else would do, an activity that someone else  
5 would do that's not within the scope of this  
6 proceeding.

7 This proceeding won't approve any  
8 transportation routes. It won't approve any rail  
9 routes, any road routes, any barge routes. There's no  
10 request to approve the specific places that spent fuel  
11 would travel. And so I think that's again one more  
12 important point to keep in mind here in terms of the  
13 scope of this proceeding as noticed in the Federal  
14 Register.

15 JUDGE RYERSON: Any questions, gentlemen?  
16 Is that it? Thank you, Mr. Lighty.

17 MR. LIGHTY: Thank you very much.

18 MR. MATTHEWS: Good afternoon, panel. Tim  
19 Matthews. There were a few other contentions that Mr.  
20 Lodge did not address, and to address the Board's  
21 question about what's different between this  
22 proceeding and the contentions in the Holtec  
23 proceeding, I wanted to very briefly touch on those.

24 In the -- with respect to the NWP, the  
25 Joint Petitioners filed an objection, which seems to

1 be most analogous to the motion to dismiss, and it  
2 would, therefore, fall within the same discussion that  
3 we talked about earlier with respect to the NWPA  
4 issues and the APA, NWPA-specific lack of NRC  
5 jurisdiction to consider the application or that  
6 allegation.

7 JUDGE RYERSON: Now, I -- this may not be  
8 directly relevant, but when you talk about the NRC  
9 jurisdiction to consider, I mean, in Yucca Mountain,  
10 DOE moved to withdraw its application, and the  
11 Board -- I was actually on the Board -- at the  
12 direction of the Commission determined whether or not  
13 that was lawful under the Nuclear Waste Policy Act.  
14 I mean, is that inconsistent with the position you're  
15 taking? I'm confused on that.

16 MR. MATTHEWS: Petitioners have asserted  
17 that because of the NWPA, the NRC lacks authority  
18 here. That was not the question --

19 JUDGE RYERSON: Correct.

20 MR. MATTHEWS: -- before the Board at  
21 Yucca Mountain.

22 JUDGE RYERSON: But we were asked to  
23 adjudicate the lawfulness of actions under the Nuclear  
24 Waste Policy Act, of DOE's actions, a sister  
25 government agency. In any event --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: I can't speak to that,  
2 Judge Ryerson.

3 JUDGE RYERSON: -- it may not be directly  
4 relevant to your argument, but I was --

5 MR. MATTHEWS: That would be our view.

6 JUDGE RYERSON: That's your view. Okay.

7 MR. MATTHEWS: With respect to Joint  
8 Petitioners 3, which is financial assurance, that is  
9 very similar to the Sierra Club contention 9 that we  
10 discussed earlier here today, and the financial  
11 qualifications petition by Joint Petitioners in the  
12 other proceeding, very similar, and the bases would be  
13 the same.

14 There are two contentions in this  
15 proceeding that are not -- don't have an analog in  
16 Holtec. One was the foreign ownership, and we don't  
17 have anything to add beyond our pleadings there. And  
18 then -- that was JP-7 here.

19 And then Joint Petitioners 9 here was the  
20 alleged misrepresentation of financial benefits under  
21 the NEPA, essentially saying that we considered only  
22 the benefits and not the costs. And, again, we point  
23 to our pleadings there, but note that there is, on  
24 this contention and several others that we'll be  
25 addressing today and tomorrow, there are pending

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 motions to strike, and I presume the Board will take  
2 those in due course.

3 JUDGE RYERSON: We will decide everything  
4 at one time, in a timely fashion. We'll get to that  
5 at the end. Thank you. Oh, I'm sorry. Any questions  
6 before we -- okay. Thank you, Mr. Matthews.

7 Before the staff people get up, I am going  
8 to have two questions. It may affect who gets up. My  
9 two questions to start will be: Have you -- you took  
10 the position that Joint Petitioners did not have  
11 standing, none of them had standing, was your  
12 position. And I'm going to ask whether you have  
13 reconsidered that as to SEED.

14 And my other question would be: You felt,  
15 the staff felt, that contention 3, Joint Petitioners  
16 contention 3 was admissible, at least in part, and I  
17 believe that part related to the exemption request  
18 which has been withdrawn.

19 So my question is: Have you changed the  
20 staff's position on either of those -- on either that  
21 standing matter and the admissibility of that  
22 contention?

23 MS. KIRKWOOD: Can we have just one  
24 minute?

25 JUDGE RYERSON: You may confer.

1 (Pause.)

2 MR. GILLESPIE: Hello again. With respect  
3 to Joint Petitioners contention 3, we consider that  
4 issue moot, and see it as an inadmissible  
5 contention --

6 JUDGE RYERSON: Okay.

7 MR. GILLESPIE: -- at this stage.

8 VOICE: Louder, please.

9 JUDGE RYERSON: Yes. If you would say  
10 that again.

11 MR. GILLESPIE: Yes. At this stage,  
12 because the exemption was withdrawn, we see this issue  
13 as moot and inadmissible for that reason.

14 JUDGE RYERSON: Inadmissible. And if my  
15 count is correct, the staff would then not find any  
16 Joint Petitioners contention admissible at this point.  
17 Is that correct?

18 MR. GILLESPIE: That is correct.

19 JUDGE RYERSON: That is correct. The  
20 question -- you could argue it's moot, but the  
21 question of standing then of SEED, what's your view on  
22 that?

23 MR. GILLESPIE: Yes, Your Honor. As we  
24 stated in the legal background section in our answer,  
25 the mere fact that radioactive material transportation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 may occur in an area is insufficient to grant  
2 standing.

3 With respect to SEED and Ms. Brigitte  
4 Gardner-Aguilar specifically, the issues that she  
5 alleged arise from the transportation of material to  
6 the nuclear site. She doesn't allege any issues with  
7 the facility.

8 JUDGE RYERSON: Well, she alleged she  
9 lives -- not in these words, but she alleged that she  
10 lives within six miles maximum or so of the proposed  
11 facility. And the staff does not consider that, those  
12 facts, sufficient to base standing on?

13 MR. GILLESPIE: As originally placed in  
14 the declaration, she did not identify a distance, and  
15 to contrast that with Ms. Rose Gardner alleges issues  
16 related to the site, accidents that could occur,  
17 things like that, which make her distinct from Ms.  
18 Brigitte Aguilar.

19 JUDGE RYERSON: Okay.

20 MR. GILLESPIE: That being said, given her  
21 proximity to the site, we would likely not have an  
22 objection if standing was found on that basis.

23 JUDGE RYERSON: So you're -- excuse me.  
24 You're saying you're not objecting if the Board were  
25 to find standing, but you're not --

1 MR. GILLESPIE: Yes, Your Honor.

2 JUDGE RYERSON: -- changing your position  
3 on it.

4 MR. GILLESPIE: Yes. Based on proximity,  
5 if the Board found that the address there was  
6 sufficient --

7 JUDGE RYERSON: Was sufficient. Okay.

8 MR. GILLESPIE: -- information to find  
9 that, then --

10 JUDGE RYERSON: Particularly with  
11 clarification in the reply. We can argue whether that  
12 reaches beyond the proper scope of a reply, but it was  
13 explicitly made as an argument in the reply.

14 MR. GILLESPIE: Yes, Your Honor.

15 JUDGE RYERSON: All right. Those are my  
16 two up-front questions, and now anything else you'd  
17 like to talk about on this topic?

18 MR. GILLESPIE: No, Your Honor.

19 JUDGE RYERSON: Okay. Thank you.

20 Why don't we take a relatively short break  
21 right now, and we'll resume -- I think we're now up to  
22 the last set, the Fasken set. Right? Other than the  
23 standing issue, which we'll probably get to tomorrow,  
24 so why don't we take a break until 3:10, and then we  
25 will resume at that point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Whereupon, a short recess was taken.)

2 JUDGE RYERSON: Mr. Eye, I see you're in  
3 the right location already. Welcome, and we will  
4 begin with your presentation on behalf of Fasken.  
5 I'll call both your clients Fasken collectively if  
6 that's okay.

7 MR. EYE: Very well, Your Honor. Thank  
8 you. Can I be heard?

9 VOICES: Yes.

10 MR. EYE: Okay. Good. We it please the  
11 panel, we are glad to be here to present our case or  
12 at least the case that we will summarize in front of  
13 you that is also contained in our pleadings, in  
14 opposition to the application to construct and operate  
15 the CISF that ISP has advanced.

16 My name is Robert Eye, and along with my  
17 co-counsel, Tim Laughlin, we represent Fasken Oil  
18 Ranch and the Permian Basin Land and Royalty Owners.  
19 Sometimes we call them PBLRO, and as Judge Ryerson  
20 noted, we'll probably refer to them collectively as  
21 Fasken, if that's not too confusing.

22 Fasken is representative of the ranching  
23 and oil and gas industry located in the Permian Basin,  
24 which turns out to be the most prolific oil and  
25 natural gas production area in the world.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As the panel is aware, in the Holtec case,  
2           Fasken advanced a motion to dismiss as our sole issue.  
3           As the panel will also recall, procedurally, when that  
4           was filed, it was circuitously -- ended up at the NRC  
5           secretary's office, which dismissed the motion, but  
6           then referred it back to you to process as a  
7           contention, which you then addressed in the Holtec  
8           order.

9           So with that just brief background and  
10          recollection, I want to get into some of the issues  
11          that we believe are pertinent regarding the ISP  
12          application.

13          But just before I do that, I want to note  
14          the attendance today of a number of people associated  
15          with Fasken and PBLRO. That include Fasken's  
16          management and staff, and a number of PBLRO  
17          supporters. And thank you for being here. It's much  
18          appreciated.

19          If there are questions about contentions  
20          2 and 4 that come up later during our presentation, I  
21          would ask leave to defer those questions or to rather  
22          refer those questions to my colleague Mr. Laughlin,  
23          and then if there are questions concerning the motion  
24          to dismiss or contentions 1, 3 and 5, I will do my  
25          best to address those questions.

1 Fasken opposes the licensing of the ISP  
2 CISF because, among other reasons, there is a real  
3 prospect here that this facility will become a de  
4 factor permanent disposal facility. And I'll say more  
5 about this in just a moment. But it's important to  
6 realize the magnitude of the radioactive materials  
7 that will be placed or anticipated to be placed at  
8 this facility. It would represent the largest  
9 concentration of radioactive materials ever amassed on  
10 earth.

11 The opposition to the ISP proposal,  
12 therefore, is based on its failure to meet the very  
13 crucial requirements that pertain to these facilities  
14 that are contained in the NRC regulations and its  
15 guidance documents.

16 Now, the reality of amassing this  
17 magnitude of radioactive materials should make strict  
18 compliance with the application requirements a  
19 foregone conclusion, but as we know, in any  
20 proceeding, it's frequently arguable whether  
21 compliance has been achieved or not. It's frequently  
22 a nuanced question rather than a stark black and white  
23 determination. We recognize that.

24 But it's important from our view to keep  
25 in mind the stakes. The reality of this quantity of

1 radioactive materials placed in the middle of the  
2 Permian Basin raises the stakes considerably. It  
3 could undermine our country's capacity to meet its own  
4 energy needs if the Permian Basin was ever taken out  
5 of production as a result of an accident and a  
6 radiological release at the ISP facility.

7 A brief word about standing. Now, I know  
8 that this is the favorite topic in many regards, but  
9 I do want to just note that as determined in the  
10 Holtec proceeding, Fasken/PBLRO has met the  
11 requirements of standing based on the proximity plus  
12 presumption.

13 In the current proceeding, NRC staff  
14 agrees that PBLRO/Fasken have been that -- those  
15 requirements and should be recognized as having  
16 standing in this proceeding.

17 Given the similarity and proximity of  
18 Fasken and Fasken's declarants related to standing in  
19 the Holtec case and the ISP case, we think that it is  
20 prudent and correct to handle the standing question  
21 related to Fasken the same way in ISP as it was  
22 addressed in the Holtec matter.

23 It was mentioned earlier there is a  
24 prospect that this proposed facility will become, by  
25 default, by default, the final and permanent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 disposition point of our country's commercial high-  
2 level waste stream. A CISF is not a substitute for a  
3 deep geological repository. They are different  
4 species of facilities for good reason.

5 And any representation that somehow a CISF  
6 can function, either in a quantitative sense for  
7 controlling the release of radiation or over a long  
8 duration of time as effectively as a deep geologic  
9 repository flies in the face of the science that  
10 supports deep geologic repositories as final  
11 disposition points for high-level waste.

12 The availability of a CISF would  
13 effectively relieve the pressure to establish a  
14 permanent deep geologic repository. That is precisely  
15 why the authors of the Nuclear Waste Policy Act  
16 recognized that a CISF without a functioning permanent  
17 repository would be a sitting duck to become a  
18 permanent repository by default.

19 ISP has made no attempt, nor could it, to  
20 show that its CISF would move our country any closer  
21 to establishing a deep geologic repository.

22 Let me address some of our contentions.  
23 The first contention we raise dovetails with our  
24 motion to dismiss and is based in interpretations and  
25 applications of the Nuclear Waste Policy Act. The so-

1 called waste confidence contention includes an  
2 assertion that the Applicant has failed to establish  
3 a need for away-from-reactor high-level waste storage.

4 It posits that the preferences of reactor  
5 owners for away-from-reactor storage are not the  
6 same -- or we argue, rather, that the preferences of  
7 reactor owners are not the same as the needs that are  
8 the predicate for establishing away-from-reactor  
9 storage. ISP has failed to prove that its CISF is any  
10 safer than existing at-reactor storage facilities,  
11 even though it does assert this in a conclusory  
12 fashion.

13 It never supports with evidence why it  
14 believes its facility is safer than at-reactor  
15 storage. It simply concludes such. To accept this  
16 requires a rejection of the findings by the -- that  
17 underpin the Continued Storage Rule that were  
18 developed in the waste confidence proceedings Blue  
19 Ribbon Commission that specifically determined current  
20 at-reactor storage is a safe and secure method to  
21 manage the high-level waste stream for an indefinite  
22 duration of time. That fact has not been undermined  
23 in this proceeding. It's the premise from which we  
24 should begin.

25 Does ISP base its assertion that a CISF



1 would be safer because it is proposed to be built in  
2 a less densely populated part of our country? If so,  
3 such an assertion ignores the fact, for example, that  
4 the cities of Midland and Odessa have a combined  
5 population of around 300,000 people.

6 And simply because other areas in the  
7 vicinity of the proposed facility may not have the  
8 population densities that -- of their urban  
9 counterparts, people living there are no less  
10 deserving of protection that their urban counterparts  
11 would expect.

12 Further, building this CISF in the Permian  
13 Basin invites the possibility that the most productive  
14 oil and gas production field in the world is put  
15 needlessly at risk. In sum, ISP has not established  
16 that there is a need for this CISF to safely manage  
17 the high-level waste stream, let alone to do so in an  
18 area that is crucial to the capacity of our country to  
19 meet its energy needs.

20 In fact, under International Atomic Energy  
21 Agency standards, which I understand don't apply, but  
22 I think it's important to note that under IAEA  
23 standards, this facility could not be built anywhere  
24 near energy-related facilities. And that, I think, is  
25 telling, and it shows that there are higher standards

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out there to which facilities in other parts of the  
2 world would have to meet compared to this facility.

3 Our second contention argues that ISP has  
4 failed in a rather spectacular way to fully evaluate  
5 and characterize the region surrounding the CISF and  
6 the unstable characteristics of the geology  
7 surrounding the site, specifically the effect that  
8 over 3,800 abandoned and temporarily abandoned wells,  
9 including any number of unaccounted for orphan wells,  
10 may have on the site.

11 As our declarant Tommy Taylor, an upper  
12 management person for Fasken, said in his declaration,  
13 the Applicant has understated the number of wells that  
14 are within the vicinity of this particular site.

15 Staff agrees that this contention should  
16 advance to adjudication, and we find that to be a  
17 significant decision on the part of staff, because we  
18 know they are by practice and by indications in the  
19 Holtec proceeding and in this one, they are reluctant  
20 to give any kind of an endorsement to a petitioner's  
21 contentions, but they did this one, and we think that  
22 that was a correct decision by staff.

23 Our third contention argues that ISP has  
24 failed to address how its CISF will mitigate the  
25 damage and release of radioactive materials in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 event of a plausible malicious or accidental airplane  
2 crash into the facility. ISP's dismissive attitude  
3 about this contention is based on a probabilistic risk  
4 assessment that says that there's less than a one in  
5 a million chance on an annual basis of such an event  
6 happening.

7 Now, it's interesting because ISP's  
8 assertion in that regard doesn't cite to the NUREG  
9 guidance that relates to CISFs. It cites instead to  
10 a NUREG that addresses power reactors. I believe it's  
11 light water power reactors specifically. Why the  
12 difference? If one in a million chance of such an  
13 event happening at a power reactor is the standard,  
14 why should it be different under the NUREG that  
15 addresses CISF events such as this?

16 Well, that difference is not -- it's not  
17 clear why there's the difference, but let me posit a  
18 potential reason. And it would be that the quantity  
19 of radioactive materials at a PWR, a light-water  
20 reactor, rather, is vastly smaller than that which  
21 would be found at a fully subscribed CISF. So we find  
22 it inappropriate for the Applicant to go to a NUREG  
23 that relates to power reactors to determine the  
24 probabilistic risk assessment for an airplane crash  
25 into one of these facilities, rather than going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 source document, the NUREG source document that  
2 actually discusses CISFs.

3 And we discuss this extensively in our  
4 pleadings. The Applicant does not explain -- or I  
5 should say, doesn't address why it doesn't recognize  
6 the NUREG that discusses CISFs, rather than its  
7 preference for a light-water power reactor NUREG.

8 Now, this one in a million -- yes.

9 JUDGE TRIKOUROS: Yes. Just let me  
10 interrupt you for a second. You're talking about the  
11 initiating event frequency. Right? You're not  
12 talking about a risk. You're talking about event  
13 frequency. Right?

14 MR. EYE: I am. But as a practical  
15 matter, they seem to be very close in terms of the  
16 kind of assessment that should be made in terms of  
17 whether we're allowing an inordinate risk or an  
18 unreasonable risk to occur. But, yes. It is related  
19 to the triggering event.

20 So ISP's position that this is only a one  
21 in a million chance on an annualized basis, you know,  
22 may be quite satisfying in an abstract statistical  
23 sense, but it defies common sense in our contemporary  
24 world. There are three major airports within 50 miles  
25 of the WCS site, raising the possibility of short

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flight times from those airports to the ISP site.

2 So at the very least, it seems that ISP  
3 should, instead of relying on what we consider to be  
4 an irrelevant NUREG related to light-water reactors,  
5 ought to at least back up and consider what the NUREG  
6 that addresses CISFs has to say about airplane  
7 crashes, and there it's quite unequivocal. It says  
8 those incidents need to be analyzed and considered in  
9 the context of an application.

10 But instead of doing that, they point us  
11 over to a light-water reactor NUREG in this  
12 probabilistic risk assessment which doesn't appear in  
13 the CISF NUREG.

14 Our fourth contention contends that ISP  
15 has failed to include adverse information regarding  
16 the presence of groundwater formations beneath and  
17 proximate to the ISP site, because our expert  
18 witnesses have developed credible, scientifically  
19 based information to indicate that there are, in fact,  
20 aquifers and other water-bearing formations located  
21 directly beneath the proposed site and proximate to  
22 it, among other things these formations provide  
23 potable water to the city of Midland and just about  
24 every rancher pumping water between Andrews and  
25 Midland.

1                   Now, these formations, including the Santa  
2 Rosa Aquifer, are routinely used also by the oil and  
3 gas industry in their exploration and extraction  
4 activities. All this flies in the face of ISP's  
5 evaluation of the hydrological formations and aquifers  
6 below the site.

7                   Furthermore, when considered in  
8 conjunction with ISP's failure to identify the  
9 presence of approximately 4,579 wells within ten miles  
10 of the site that on a daily basis produce  
11 approximately 10,100 barrels of oil and 85,000 MCF of  
12 natural gas per day, ISP has also failed to discuss  
13 how these might end up as vectors to groundwater  
14 formations.

15                  These factual disputes about the presence,  
16 the extent and the nature of substrata water  
17 formations below and proximate to the ISP site must be  
18 resolved through an adjudicatory process. There are  
19 too many issues of fact, and I might add that other  
20 petitioners have raised these and similarly find that  
21 there are contradictions between that which ISP has  
22 advanced about the nature and extent of water  
23 formations beneath and proximate to the site.

24                  This is a classic example. This is a Rule  
25 56 civil procedure question about summary judgment.

1 We have conflicting evidence, conflicting credible  
2 evidence, that has to be resolved in some way other  
3 than a summary disposition proceeding such as the one  
4 we are in now.

5 The fifth contention argues that ISP has  
6 failed to adequately characterize its proposed  
7 facility's effect on the areas' threatened and  
8 endangered species and undermines the extensive  
9 conservation efforts made in recent years by the  
10 energy and ranching industries in an effort to  
11 conserve the habitats of threatened and endangered  
12 species.

13 We're down to the protected lizard species  
14 specifically, but I want to make one mention about the  
15 lesser prairie chicken. It's worth noting that one of  
16 the reasons why its conservation effort was successful  
17 was because it was spearheaded by the oil and gas  
18 industry and the ranching interests in that area.

19 And while this may be counterintuitive,  
20 they were successful. They took that commitment on.  
21 They do not want to see it undone, their efforts,  
22 their resources that they poured into that project.  
23 They don't want to see it undone by the presence of  
24 ISP's proposed CISF.

25 From the outset in this matter,

1 Fasken/PBLRO has asserted that ISP's application was  
2 fatally flawed, because it depends on the Department  
3 of Energy taking title to and liability for high-level  
4 waste. This is, as the panel knows, the underlying  
5 premise or one of the underlying premises of our  
6 motion to dismiss, and it also is tied to our first  
7 contention, our so-called waste confidence contention.

8 But for DOE to take title to the high-  
9 level waste stream, there must be a deep geologic  
10 repository that is able to receive high-level waste.  
11 Of course, no such facility presently exists in the  
12 United States. Despite ISP's refusal to acknowledge  
13 this legal reality until just about two weeks ago,  
14 when on June 28, it issued a letter that acknowledged  
15 this legal barrier that it is now forced to confront,  
16 ISP now agrees this requirement must be met before a  
17 CISF may be used for high-level storage, high-level  
18 waste storage.

19 ISP evidently recognizes that for its  
20 proposal to be viable, the Nuclear Waste Policy Act  
21 must be amended to allow use of a CISF without the  
22 availability of a functioning deep geologic  
23 repository. But such an amendment has not  
24 materialized, and whether ISP will be rescued by an  
25 act of Congress is utterly speculative.



1           This proceeding should not continue based  
2           on an act of Congress that may never materialize, and  
3           I would note in rather stark contrast, a petitioner  
4           that depends on nonexistent legislation to support a  
5           contention would likely not be well received by this  
6           panel.    The same standard should apply to ISP's  
7           application.

8           It is this panel's duty to determine  
9           whether an Applicant has satisfied each of the  
10          requirements that pertain to this CISF proposal, and  
11          if they are not going to follow the NUREGs that  
12          pertain directly to it, have some good reason why they  
13          are deviating from that.   These NUREGs are kind of a  
14          moving target.   They're cited when they favor ISP, but  
15          not when they don't.   They should be held to a higher  
16          standard.

17          When an application is riddled with issues  
18          of fact and that the Applicant has failed to satisfy  
19          its essential burdens, this panel should deny the  
20          application or at least advance the contentions to  
21          final adjudication.   And, of course, we think that the  
22          motion to dismiss that we advanced early on in this  
23          matter should be granted, and the application rejected  
24          on that basis.

25          Finally, the concept of consent-based

1 siting is being used apparently to convince the public  
2 that their consent is an essential element for  
3 licensing this facility. Legally, of course, that is  
4 not the case.

5 But if consent-based siting is going to be  
6 more than a ruse, it should be codified and defined  
7 what consent means and a methodology adopted to  
8 determine who should give what consent and at what  
9 level, because to do otherwise sends a false message  
10 to the public that their input can somehow be weighed  
11 just as significantly as other evidence that the panel  
12 considers.

13 Thank you, and we'll do our best to  
14 respond to any questions that the panel may have.

15 JUDGE ARNOLD: Well, I have some questions  
16 concerning standing. Now, the proximity assumption  
17 normally involves a person who lives within 50 miles  
18 of a commercial power plant. Proximity plus, I  
19 assume, should mean you've got somebody who lives  
20 within some proximity to the plant. So between Tommy  
21 Taylor and D.K. Boyd, which one lives closest to the  
22 ISP facility, and how far away is that?

23 MR. EYE: I think it's D.K. Boyd that  
24 lives closer, and his exact -- the exact distance of  
25 his residence from his ranch, I do not know. But

1 proximity standing doesn't depend on residential  
2 location -- let me put it this way. It can depend on  
3 residential location, but it can also be tied to  
4 somebody's occupation.

5 And D.K. Boyd's occupation is ranching.  
6 He goes to his property on a regular basis, and it's  
7 close to the proposed facility, and that provides a  
8 basis for standing. Likewise Mr. Taylor, who in his  
9 occupation has reasons to visit the area on a regular  
10 basis as well.

11 So it's -- I think that the idea of  
12 proximity is residential, but it also includes  
13 occupational or other uses of property that are  
14 proximate to a proposed facility.

15 JUDGE ARNOLD: According to D.K. Boyd's  
16 statement, his brother runs the cattle operations, so  
17 just the fact that he has a ranch there doesn't tell  
18 me that he's there often enough to have a proximity  
19 standing. How often is he there? And although part  
20 of the ranch is within four miles of the CIS, looking  
21 at a map of it, it looks like an awful lot of the  
22 ranch isn't within four miles.

23 MR. EYE: He signed a declaration under  
24 penalty of perjury that said his ranch is four  
25 miles -- approximately four miles from the facility.

1 JUDGE ARNOLD: The closest point.

2 MR. EYE: That's correct. And if we're  
3 quibbling about four miles or five miles --

4 JUDGE ARNOLD: No. We're quibbling  
5 about --

6 MR. EYE: -- that's really a  
7 distinction --

8 JUDGE ARNOLD: -- four miles and 20 miles.

9 MR. EYE: Well, he --

10 JUDGE ARNOLD: I don't know the ranch.

11 MR. EYE: His ranching operation obviously  
12 is something that he has a concern about not only  
13 himself but his brother out there working it.

14 JUDGE RYERSON: Is his brother formally an  
15 employee of his, or is it simply his brother works it,  
16 and they somehow work that out?

17 MR. EYE: I think that they both have  
18 interests in that ranching operation.

19 JUDGE RYERSON: I was curious. You know,  
20 those of us from the East have a hard time with the  
21 distances here in Texas. Unless it was a typo, I  
22 think it said that the ranch is 137,000 acres.

23 MR. EYE: Yes. That was a typo. Yes.

24 JUDGE RYERSON: Pardon? That's a typo.  
25 Okay.

1 MR. EYE: That's a typo. I --

2 JUDGE RYERSON: I thought that a little  
3 corner with four miles could be pretty far from part  
4 of the ranch, so that's an error of probably at least  
5 ten. Okay. Well, that answered my question.

6 Did you have some more, Judge Arnold, at  
7 this point? We can get back to -- we'll be talking  
8 about standing tomorrow in the context of the generic  
9 issue that ISP is raising, and so we might have some  
10 more individual questions at that point.

11 Judge Trikouros, are you --

12 JUDGE TRIKOUROS: Well, I have questions,  
13 but I'm going to ask them tomorrow. I don't think I  
14 want to ask them today.

15 JUDGE RYERSON: Okay. All right. Well,  
16 thank you, Mr. Eye.

17 We're going to take a brief break right  
18 now before we hear from ISP and the NRC staff. Why  
19 don't we reconvene at four o'clock, and we will  
20 probably finish up for the day after those two and  
21 start again tomorrow, but we'll see you again at 4:00.  
22 Thank you.

23 (Whereupon, a short recess was taken.)

24 JUDGE RYERSON: Mr. Matthews, are you  
25 ready? Mr. Eye, did you have something to say?

1 MR. EYE: Yes. I just would like to  
2 correct the record, if I could, on --

3 JUDGE RYERSON: Certainly.

4 MR. EYE: In response to the question  
5 about the dimensions of the ranch, actually the  
6 declaration's correct. It is 137,599 acres, which by  
7 quick calculation is about 250 square miles. So  
8 that's correct, that he owns --

9 JUDGE RYERSON: 250. Yes. I did my own  
10 calculation with things I'm more familiar with, and it  
11 occurred to me that the ranch is about ten times the  
12 size of Manhattan Island.

13 (General laughter.)

14 JUDGE RYERSON: And so --

15 MR. EYE: And easier to get around.

16 JUDGE RYERSON: While I have you, I think  
17 we are going to -- we're going to be talking about  
18 standing in a generic way tomorrow, and I did have  
19 some questions about the affidavits on standing in the  
20 case of Fasken.

21 We're not taking evidence tomorrow. You do  
22 not have to bring your clients in, and I think there  
23 would be objections if we did do that. But I am, just  
24 to alert you, I'm going to ask some clarifying  
25 questions about some of the more general statements.

1 And so to the extent you are quite familiar with the  
2 facts that are sort of underlying the more general  
3 statements, fine. I don't know if you want to contact  
4 either of those gentlemen.

5 but the nature of my questions would be  
6 more in the case to compare with Holtec. I believe --  
7 what was the gentleman's -- not Mr. Boyd, but --

8 MR. EYE: Taylor.

9 JUDGE RYERSON: Mr. Taylor?

10 MR. EYE: Tommy Taylor.

11 JUDGE RYERSON: Thomas Taylor, yes.  
12 Another Taylor. Thomas Taylor had reasons to go to  
13 the facility specifically, as I recall. Here the sort  
14 of more general statements and it almost seems to come  
15 down to his saying, Well, I drive on highways in that  
16 area.

17 So I'm not limiting my questions to that  
18 specific one, but those are the sorts of questions I  
19 think I might have about fleshing out perhaps some of  
20 those declarations as to exactly what they mean.

21 MR. EYE: I understand, and we'll do our  
22 best to respond.

23 JUDGE RYERSON: Okay. Thank you.

24 MR. EYE: Thank you.

25 JUDGE RYERSON: Now, Mr. Matthews.

1 MR. MATTHEWS: Thank you, Judge Ryerson.  
2 I want to set this where I can still see my notes.  
3 Are you able to hear me in the room?

4 VOICE: No. Microphone's not working. It  
5 might need new batteries.

6 JUDGE RYERSON: Have you tried it really  
7 close?

8 MR. MATTHEWS: Will that work?

9 JUDGE RYERSON: That certainly works for  
10 us.

11 MR. MATTHEWS: I intend to address three  
12 issues, and my colleagues will address the remaining  
13 three of Fasken's issues and contentions.

14 The first, not a surprise, would be the  
15 motion to dismiss on the NWPA basis. What's different  
16 here that's sort of a procedural matter, I suppose, in  
17 that the motion was styled for both CISF proceedings,  
18 but there was a failure of service on it. It was not  
19 served to the parties. I understand that the boards  
20 have great leeway in how they interpret these, but a  
21 failure of standing -- a failure of service -- there  
22 are cases where failure of service, the Board has  
23 taken note, and we just want to note that.

24 JUDGE RYERSON: Was this in your response?  
25 Was that ever raised?



1 MR. MATTHEWS: I'll confirm that, Your  
2 Honor.

3 JUDGE RYERSON: Okay.

4 MR. MATTHEWS: I believe there was in our  
5 initial objection, once it was referred -- we didn't  
6 have a chance to respond to it. It wasn't served to  
7 us, so it first landed on our point once the Secretary  
8 referred it to the Board. So --

9 JUDGE RYERSON: So normally the Secretary  
10 would be responsible for serving you. I mean, once  
11 it's treated as a contention, they should have served  
12 it.

13 MR. MATTHEWS: The Secretary did send it  
14 to us, when the Secretary referred it to both dockets  
15 and we received it then.

16 JUDGE RYERSON: Okay.

17 MR. MATTHEWS: But when it was initially  
18 served on the other applicant, it was not served on us  
19 as well.

20 JUDGE RYERSON: You have it.

21 MR. MATTHEWS: I'm merely preserving it,  
22 Your Honor.

23 JUDGE RYERSON: You have it.

24 MR. MATTHEWS: We have it.

25 JUDGE RYERSON: Okay.

1 MR. MATTHEWS: We have actual notice.

2 JUDGE RYERSON: You've had actual notice.

3 MR. MATTHEWS: At this point, we have  
4 actual notice.

5 JUDGE RYERSON: Okay. You've made the  
6 point.

7 MR. MATTHEWS: We have a lot of  
8 contentions here, Your Honor. With respect to Fasken  
9 3, there's been sort of a crab walk as to what this  
10 contention is about, and that's what I wanted to bring  
11 this -- there's not an analogous contention in the  
12 Holtec proceeding.

13 This contention as styled was that the  
14 application failed to meet the 72.122 design  
15 requirements for protection of components important to  
16 safety, in that if there was a credible accident,  
17 specifically an aircraft impact, a fully loaded  
18 aircraft, that somehow ISP had conceded was credible  
19 and had failed to meet the 122 requirements for  
20 protection.

21 In our response, ISP noted that it had  
22 never conceded or considered an aircraft impact as a  
23 credible accident. It did consider it in alert  
24 classifications as required in the emergency planning  
25 provisions, and those both derive from staff guidance

1 requirements, separately for protection components  
2 important to safety and for what needs to be  
3 considered in an emergency response plan.

4 But the application, as noted in our  
5 brief, clearly stated that just because it's in the  
6 emergency response plan doesn't mean Applicant  
7 considers it credible. And Applicant didn't consider  
8 it credible. And that was the answer.

9 It seems now and in the reply, petitioners  
10 want to point to guidance for the staff review that  
11 says you must consider hazards in the area, including  
12 airports and consider those and the guidance on how to  
13 consider airports.

14 We've come a long way from physical fire  
15 protection systems on the site being adequate from a  
16 72.122 perspective. Nonetheless, petitioners haven't  
17 asserted why ISP must conduct an aircraft crash  
18 analysis. They point to a staff guidance document,  
19 not a Commission requirement.

20 Nonetheless, ISP has done that analysis  
21 and supplemented the application. It wasn't subject  
22 of notification because it was outside the scope of  
23 the contention, but it's there. It's in ADAMS. It  
24 exists, and it concluded that the likelihood of an  
25 aircraft crash, the probability of the initiating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 event was less than one times ten to minus 6, which is  
2 the standard established in PFS, the Commission's  
3 standard.

4 Petitioners might disagree with that  
5 standard, but it is the standard that the Commission  
6 has set for this Board and others to follow, as the  
7 Board noted in the 19-4. So we make that point.

8 And then separately with respect to --  
9 pause for a second, if there's anything about that.

10 JUDGE ARNOLD: I do have a question on  
11 that. Your emergency response plan is the  
12 consolidated emergency response plan. What is being  
13 consolidated?

14 MR. MATTHEWS: Thank you, Judge Arnold.  
15 The consolidated interim storage facility sits on the  
16 WCS site. The WCS site is also the home for TCEQ  
17 license low-level radioactive waste facilities. Those  
18 facilities under the TCEQ regulation require an  
19 emergency response plan.

20 Both the NRC and TCEQ recognize that the  
21 licensee -- their respective licensees needs an  
22 emergency response plan, and the NRC's guidance  
23 indicates that where it makes those sense, those plans  
24 ought to be consolidated, such that you can actually  
25 carry them out.

1           At the time of an event, you may not know  
2           where it initiated. You want to be able to respond to  
3           the plan appropriately, notifying law enforcement  
4           agencies and the like, first responders.

5           So the plan recognizes that, and it specifically  
6           delineates which portions are applicable to the CISF.

7           JUDGE ARNOLD: So this consolidated plan  
8           evolved from an existing plan for the whole site,  
9           or --

10          MR. MATTHEWS: I wouldn't quibble with  
11          "evolved." There was an existing plan for the site,  
12          and then ISP, WCS before it, began working on what  
13          else needs to be included in this plan in order to  
14          address the NRC requirements that may be different  
15          from the TCEQ requirements.

16          JUDGE ARNOLD: Do you know if the airplane  
17          crash alert was added to the existing plan as  
18          consolidation, or did it already exist?

19          MR. MATTHEWS: I'll check on that, Judge  
20          Arnold. I don't know off the top of my head. There  
21          is NRC staff guidance that -- the REG guide for review  
22          of a 72 facility that drives you to an ANSI standard  
23          that includes a list of initiating events that need to  
24          be considered, and aircraft is in there. So that's  
25          the why it's there, but whether it preexisted, I will

1 check and come back to the Board.

2 JUDGE ARNOLD: Thank you.

3 MR. MATTHEWS: Last is the groundwater  
4 contention, and just a couple points on that. We've  
5 addressed that today earlier in the context of Sierra  
6 Club 10, and noting that it's not different materially  
7 from Sierra Club 15 in the Holtec proceeding. Those  
8 arguments still apply here. The Applicant -- or  
9 sorry. The petitioner has not explained why any  
10 radionuclide could ever get to groundwater if it  
11 exists there, and there are a couple points to make.

12 The contention bootstraps this idea of a  
13 fully loaded aircraft landing unintentionally on the  
14 CISF. It doesn't somehow suggest that that's  
15 plausible or probable. Just it relates back to the  
16 other contention, saying, well, ISP has conceded that.  
17 As we just talked about, that's not the case.

18 There is nothing that indicates there is  
19 some initiating event that could cause fission product  
20 to leave the clad, to leave the canister, to have a  
21 transport mechanism to leave the pad and to reach the  
22 groundwater. That didn't exist and doesn't exist.

23 JUDGE RYERSON: And just to clarify, the  
24 possibility of an airplane intentionally landing is  
25 beyond the scope of what we may consider, given the

1 Commission's position on --

2 MR. MATTHEWS: We are still beyond the  
3 Ninth Circuit. Yes, Judge Ryerson.

4 And with respect to the location of the  
5 aquifer or aquifers as petitioners allege, there are  
6 some significant deficiencies noted in our pleadings  
7 that the Board may want to consider. That is, the  
8 various petitioners don't agree as to where or which  
9 water is under the site.

10 ISP has presented extensive analysis about  
11 where groundwater or formations are, the geologic  
12 structure, and where it has actually found water and  
13 where it has not.

14 Petitioner has a supporting affidavit of  
15 geologist Pachlhofer, who opines on many things, one  
16 of which is geology. But for his assertions about  
17 geology, he relies on Lehman and Rainwater, which was  
18 one of the references in the ISP application.

19 Geologist Pachlhofer asserts that, with  
20 reasonable scientific certainty, the Ogallala Aquifer  
21 exists underneath the site of the proposed CISF. The  
22 problem with the Pachlhofer assertion is it relies  
23 only on Lehman and Rainwater, which comes to the  
24 opposite conclusion. It says there is no Ogallala  
25 Aquifer there. It says there's an Antlers Formation

1 and, further in Exhibit 10 of Lehman and Rainwater,  
2 says it's dry.

3 It says where the site is is between two  
4 zero water level gradients. So it's completely  
5 consistent with the application that ISP filed. Where  
6 the expert's opinion is different from the sources  
7 upon which he relies, it is not entitled to deference  
8 from the Board, and there is nothing else, no  
9 independent evaluations that geologist Pachlhofer  
10 asserts that he conducted.

11 I'll stop there. I understand there may  
12 be further questions today or tomorrow or whenever the  
13 Board would like.

14 JUDGE RYERSON: Apparently no questions  
15 now.

16 MR. MATTHEWS: Then I will turn over the  
17 mike to my colleague Ryan Lighty.

18 JUDGE RYERSON: Okay. Thank you, Mr.  
19 Matthews.

20 MR. LIGHTY: Thank you, Your Honor. I'm  
21 just going to be speaking about Fasken and PBLRO  
22 contention number 2 regarding oil and gas wells. I  
23 would first note that the petitioner's argument here  
24 is really twofold, asserting that the SAR fails to,  
25 number one, mention and, number two, investigate what



1 it asserts are thousands of wells within ten miles of  
2 the site.

3 But it points to no requirement in Part 72  
4 to list wells within any particular radius of the  
5 site, and it provides no explanation for why the  
6 radius that it has selected without explanation of ten  
7 miles is a requirement that has not been met here.

8 To the second part of the argument that  
9 the application does not investigate, the petitioner  
10 simply has not looked at the appropriate portions of  
11 the application. If you look at SAR section 2.6,  
12 2.6.1 is a discussion of the basic geologic and  
13 seismic information; in 2.6.2, vibratory ground  
14 motion; 2.6.3, surface faulting; so on and so forth.

15 They don't challenge any of that  
16 information, and more importantly, they don't  
17 challenge the attachments to the SAR. Attachment D is  
18 the probabilistic seismic hazards evaluation. That  
19 document is a proprietary document that they did not  
20 even attempt to request to access to dispute  
21 information in that evaluation.

22 And Attachment E is the geotechnical  
23 investigation. That document is public. It's also  
24 not disputed, so to the extent petitioners argue that  
25 there is no investigation of the geotechnical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information here, it's simply incorrect. It's in the  
2 application. It just has not been disputed here.

3 I would note that recently on May 31, we  
4 did submit an RAI response that contains some  
5 additional information regarding oil and gas wells in  
6 the region. We still maintain that that disclosure is  
7 not required under the regulation cited by  
8 petitioners, 72.103(a)(1), but we did provide the  
9 Board notification and the notice to the parties,  
10 because it is generally relevant to the discussion  
11 here. So even if there was some obligation to include  
12 that information, that omissions has now been cured,  
13 and there's no longer a live contention on this.

14 And importantly, the information as  
15 provided shows that there are no active wells at the  
16 site or within a mile of the site. And petitioners  
17 haven't explained why the presence of thousands of  
18 wells ten miles away from the site is material to  
19 their contention when there's not any active wells  
20 within a mile of the site. That's a sharp drop-off,  
21 and there's no explanation of why that additional  
22 information that they demand is material here.

23 And so for those reasons, we believe and  
24 continue to believe that contention 2 is inadmissible.

25 JUDGE RYERSON: Thank you. Any questions

1 on -- that's the sole contention you are dealing with?

2 MR. LIGHTY: Yes. Thank you, Your Honor.

3 JUDGE RYERSON: Thank you, Mr. Lighty.

4 MR. BESSETTE: Almost have clean-up for  
5 the day, Your Honor, so hopefully I'll be short.

6 JUDGE RYERSON: We'll get with the NRC  
7 staff yet.

8 MR. BESSETTE: I'm going to address Fasken  
9 contentions 1 and 5.

10 VOICE: Pull down the microphone, please.  
11 Thank you.

12 MR. BESSETTE: I did listen carefully to  
13 Mr. Eye's discussion of Fasken 1, which discusses that  
14 the CISF is not needed to ensure safe storage of spent  
15 nuclear fuel, and also his arguments regarding a de  
16 facto repository.

17 One issue I did hear that was new was that  
18 we do not -- the siting would not meet international  
19 siting standards for such a repository. That is a new  
20 issue, not included in this pleading at all, so  
21 similarly, that should be ignored.

22 Simply, Your Honor, I believe this is  
23 identical, almost word for word, for Sierra Club 2 and  
24 3, so the Board's decision on that applies equally.  
25 And with regard to a de facto repository, the Board's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decision on Joint Petition 10 and Sierra Club 5.

2 So if you have no questions, I'll move on.

3 JUDGE RYERSON: No questions at this  
4 point.

5 MR. BESSETTE: All right. The next item,  
6 Your Honor, is on Fasken item 5, challenging -- let me  
7 find it -- the discussion in the environmental report  
8 of endangered and threatened species. I did  
9 acknowledge that Mr. Eye acknowledged currently -- the  
10 original petition challenged that there was no  
11 discussion of the lesser prairie chicken and dunes  
12 sagebrush lizard as threatened or endangered.

13 Neither of those are threatened or  
14 endangered under Texas or U.S. law, and Mr. Eye  
15 admitted that, noting that the only species threatened  
16 and endangered species is the Texas horned lizard,  
17 which is endangered under Texas law only.

18 I would note that the contention itself  
19 never mentions the Texas horned lizard. It's  
20 completely silent on that. The only mention of the  
21 Texas horned lizard is in the Pachlhofer declaration  
22 on one page where he asserts that it would be affected  
23 by radiation for the facility. So there's no  
24 connection between the conservation efforts and the  
25 Texas horned lizard in their petition or their expert

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reports.

2 The main consensus or main concern is that  
3 the conservation efforts, to the extent they are even  
4 relevant to this contention on the remaining species,  
5 somehow are undermined by the efforts of the interim  
6 storage project. But there is zero information on  
7 what those conservation efforts are and how the  
8 project would undermine them. They don't include that  
9 as a reference. They don't cite what's being done,  
10 and therefore, we don't -- it's unclear to us, besides  
11 just simple construction, how we would undermine those  
12 efforts.

13 As they assert to us that these studies  
14 are outdated or we need more, we need more from them.  
15 They have the burden to state how their conservation  
16 efforts are somehow undermined by the project.

17 With regard to the assertion that these  
18 studies are out of date somehow, this is very similar  
19 to the Sierra Club petition on those studies. I would  
20 note there is no law that requires us to do updated  
21 studies if the discussion in the environmental report  
22 provides an appropriate environmental baseline.

23 In addition, the environmental report does  
24 discuss 2015 data from the U.S. Fish and Wildlife  
25 Service regarding the status of threatened and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 endangered species, which they don't challenge.

2 That's all I have on Fasken 5.

3 JUDGE RYERSON: Okay. Any questions?

4 JUDGE ARNOLD: No questions.

5 MR. BESSETTE: All right. Thank you, Your  
6 Honor.

7 JUDGE RYERSON: Thank you, Mr. Bessette.

8 You may -- well, as usual, I'm going to  
9 have a question or two. You may want to hear what  
10 they are. Let's see. Actually, yes. I'm going to  
11 talk a little bit about or have some questions on  
12 Fasken contention 2. I don't know if that affects who  
13 would like to start. Mr. Gillespie.

14 MR. GILLESPIE: Yes, Your Honor.

15 JUDGE RYERSON: Yes. I mean, I don't want  
16 to preempt what you're going to say, but I -- it did  
17 seem to me -- this is a contention that the staff  
18 proposed that we should admit, Fasken contention 2, as  
19 I recall, in part.

20 And the staff's explanation of that -- I  
21 know you have less time than we get to write these  
22 things up, but it was fairly brief and seemed to spend  
23 most of its time on why the contention should not be  
24 admitted as to groundwater issues, but spent very  
25 little time on the conclusion that it should be

1 admitted as to geologic stability issues.

2 And I was just wondering -- well, let me  
3 finish a related question, and that is whether you've  
4 looked at RAI response, I think it is, 2.2-2 that was  
5 recently filed that provided some additional  
6 information that bears on this contention.

7 Having said all that, my question is: Has  
8 the staff's position changed? And if it -- well,  
9 first, has the staff's position changed?

10 MR. GILLESPIE: Yes, it has, Your Honor.

11 JUDGE RYERSON: And what is the staff's  
12 position today?

13 MR. GILLESPIE: The position today is that  
14 the contention is inadmissible. It's been rendered  
15 moot by the updated information provided in the  
16 application.

17 VOICE: We can't hear you.

18 JUDGE RYERSON: Yes. I think some of the  
19 people would like to hear that more clearly.

20 MR. GILLESPIE: That we see the contention  
21 as moot, based on the updated information provided in  
22 the RAI response.

23 JUDGE RYERSON: Okay. I think that moots  
24 my second question, so okay. Having said that, what  
25 else would you like to address about the Fasken?

1 MR. GILLESPIE: I believe my colleague has  
2 something further to say.

3 JUDGE RYERSON: Ms. Kirkwood. And I  
4 perhaps should have asked this to Mr. Gillespie. But  
5 that means, unless you've changed some other views,  
6 that means the staff would urge that no contention  
7 submitted by Fasken is admissible.

8 MS. KIRKWOOD: That is correct.

9 JUDGE RYERSON: Although the staff has  
10 maintained the staff supports the standing of the  
11 Fasken petitioners.

12 MS. KIRKWOOD: Yes. That is correct, Your  
13 Honor.

14 JUDGE RYERSON: Okay. Thank you.

15 MS. KIRKWOOD: Your Honor, I just -- the  
16 staff just wanted to speak briefly to the discussion  
17 regarding what NRC guidance required with respect to  
18 aircraft crash probability. We thought there might  
19 have been some confusion.

20 And we wanted to state that NUREG 1567,  
21 Section 2.5.2, calls for potential hazards to be  
22 reviewed that are nearby the site, and that includes  
23 that for an installation near an airport, to consider  
24 whether an aircraft -- consider aircraft size,  
25 velocity, weight and fuel load in assessing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 hazards of aircraft crashes. But it does not say that  
2 it is ergo a credible event.

3 The Applicant also mentioned this, but the  
4 Commission established the threshold for considering  
5 the aircraft crash to be a credible event in the PFS  
6 proceeding for ISFSIs and at one times ten to the  
7 minus 6, which would apply to this proceeding.

8 And then the staff uses the guidance in  
9 NUREG 0800 which applies directly to light-water  
10 reactors in order to assess whether or not the -- in  
11 order to assess the methodology for determining the  
12 probability of an aircraft crash at a particular  
13 installation because the guidance in that document is  
14 more detailed, but it is not changing the standard  
15 from that set by the Commission.

16 So that's the only thing that we wanted  
17 to --

18 JUDGE RYERSON: Okay.

19 MS. KIRKWOOD: -- add to that response.

20 JUDGE RYERSON: While I have you --

21 MS. KIRKWOOD: Sure.

22 JUDGE RYERSON: -- and your answers are  
23 subject to what you may hear tomorrow in response to  
24 the Board's questions or the arguments about standing  
25 as a more generic issue. But I think, as you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 acknowledged, the staff's position has changed on a  
2 few issues since the staff's original written  
3 responses to the petitions.

4 And it might be useful to summarize, just  
5 so we're clear, as of right now, the staff's position  
6 is that Beyond Nuclear has established standing, and  
7 the staff would urge the admission of Beyond Nuclear's  
8 sole contention, at least in part.

9 MS. KIRKWOOD: Correct.

10 JUDGE RYERSON: With respect to Sierra  
11 Club, the staff would find standing, I believe, but  
12 would not find an admissible contention.

13 MS. KIRKWOOD: Correct.

14 JUDGE RYERSON: With respect to the Joint  
15 Petitioners, the staff would not find standing but  
16 would not object to the Board's finding standing for  
17 SEED, but would find no admissible contentions.

18 And with respect to Fasken, the two Fasken  
19 entities, the staff would find standing. That was  
20 your written position. That has not yet changed.

21 MS. KIRKWOOD: Right.

22 JUDGE RYERSON: But would not find an  
23 admissible contention. So if we were holding a  
24 hearing today -- put aside motions for summary  
25 disposition. If we were holding a hearing today, the

1 staff's position would be we should have a hearing on  
2 Beyond Nuclear's contention.

3 MS. KIRKWOOD: Correct.

4 JUDGE RYERSON: But the issue -- but let  
5 me parse through one more thing, if I can. Is the  
6 staff's view that we should have -- well, maybe it's  
7 not a hearing. Maybe it's a legal issue contention  
8 and doesn't require a factual hearing. Would that be  
9 the staff's view?

10 MS. KIRKWOOD: Your Honor, I think there  
11 is a good chance that that would not be -- that that  
12 would not require an evidentiary hearing.

13 JUDGE RYERSON: An evidentiary hearing.  
14 That we should perhaps have further briefing on the  
15 question that you say is admissible. But if I'm  
16 hearing you correctly, what you're saying is  
17 admissible is not the issue of the lawfulness of DOE  
18 taking title today. I think the Board thinks that's  
19 not lawful. ISP has acknowledged that's not lawful.  
20 But petitioners urged everyone that that's not lawful,  
21 and I think the staff is agreeing, are you not, that  
22 it's not lawful?

23 MS. KIRKWOOD: Staff hasn't taken a  
24 position.

25 JUDGE RYERSON: The staff is not taking a

1 position. Okay. I wasn't sure if you agreed it was  
2 not lawful, but it was not clear to you whether it  
3 would be a good thing to have it in the application,  
4 even though you think it's not lawful.

5 MS. KIRKWOOD: Yes. Even --

6 JUDGE RYERSON: But you're not taking a  
7 position on either.

8 MS. KIRKWOOD: We're not -- I want to be  
9 very clear on this.

10 JUDGE RYERSON: Okay.

11 MS. KIRKWOOD: Even if you -- admitting  
12 the contention assumes that there is at least a  
13 plausible argument that it's not lawful, and which  
14 appears to be obvious --

15 JUDGE RYERSON: Yes.

16 MS. KIRKWOOD: And so I think you could  
17 sort of jump to the second part of that, which is  
18 thus, is it acceptable to have it still in the license  
19 application or not. And that's the part that we think  
20 is an inadmissible contention.

21 JUDGE RYERSON: Okay. And you think  
22 further briefing on that issue, beyond the hundreds of  
23 pages we already have, would be helpful?

24 MS. KIRKWOOD: Your Honor, I don't  
25 think -- the staff has not taken a position on that.

1 We have an obligation to review the application and to  
2 issue a license that we think is appropriate.

3 JUDGE RYERSON: Okay.

4 MS. KIRKWOOD: And I don't think  
5 actually -- I think that the briefing thus far has  
6 focused on the admissibility of the contention, not on  
7 the merits of whether or not it's appropriate to  
8 include that option in the --

9 JUDGE RYERSON: Yes. I mean --

10 MS. KIRKWOOD: -- license.

11 JUDGE RYERSON: -- when you're talking  
12 about a legal issue contention, I think of necessity  
13 sometimes the admissibility of the contention and the  
14 outcome of a legal issue contention seemed often to be  
15 very close. But I understand your position. I  
16 appreciate it. Thank you.

17 Anything else?

18 MS. KIRKWOOD: Just to clarify slightly  
19 our position on the SEED standing with the Joint  
20 Petitioners, we don't object to SEED having standing  
21 based on proximity to the facility. We do object to  
22 SEED having standing based on transportation, based on  
23 the transportation routes.

24 JUDGE RYERSON: Oh, I -- the statement  
25 was -- so you slightly changed your position on that.

1 MS. KIRKWOOD: I hope not.

2 JUDGE RYERSON: Well, at least you've  
3 changed my understanding of your position. In other  
4 words, you would agree -- does the staff agree that  
5 SEED has presented facts that are sufficient for the  
6 Board to find standing for SEED, based not -- on the  
7 basis of Ms. Gardner-Aguilar's proximity of her  
8 residence to the proposed facility?

9 MS. KIRKWOOD: Yes. But that's not  
10 exactly what she said in the affidavit. I think you  
11 could read --

12 JUDGE RYERSON: Oh, I know, I know.

13 MS. KIRKWOOD: -- it to include that.

14 JUDGE RYERSON: Okay. All right. I -- we  
15 understand your position. Or I won't go quite that  
16 far, but I think we've reached as far down that road  
17 as we can get.

18 MS. KIRKWOOD: Okay.

19 JUDGE RYERSON: Thank you. Anything else?

20 MS. KIRKWOOD: I have nothing further.

21 JUDGE RYERSON: Okay. So we will convene  
22 again tomorrow at nine o'clock. We'll begin with the  
23 explanation of your views on the generic issue, why  
24 nobody has standing, and we'll have a response to that  
25 from petitioners, all the petitioners if they want to,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but again, I encourage the petitioners to consider a  
2 joint -- at least a lead by somebody on that issue.

3 We did offer -- I didn't mention it this  
4 morning. We did offer in our order, the June 7 order,  
5 the opportunity for very brief concluding statements  
6 by everybody. I think many of you may feel you've  
7 talked enough by the end of tomorrow morning or  
8 whenever we finish tomorrow. But if there's a sense  
9 that people would like to do that, you know, I think  
10 we'll probably have time to allow that.

11 So you might want to think about whether  
12 you want to give a brief summary statement, probably  
13 five minutes for everyone, maybe a few more minutes  
14 for the Applicant. It's four to one, but I'm not sure  
15 how much one can do in five minutes versus seven  
16 minutes, but we'll do something on that nature.

17 And I don't know if Ms. Curran is here.  
18 Is she here? Oh, over here. That's why I didn't see  
19 you. Sorry. I know that you -- last time we made  
20 that as a possible offer, you were enthusiastically  
21 accepting, and I assume you are again, that you would  
22 like to have five minutes at the end to --

23 MS. CURRAN: Yes, if possible. But we  
24 hope to be done by the lunch break.

25 JUDGE RYERSON: That's our hope as well.

1       Okay. Well, I mean, we'll see how it goes. I think  
2       we can probably do that. If there really isn't a  
3       strong sense that that would be productive after a day  
4       and a half, we don't -- certainly don't have to do it.

5               I see you, Mr. Matthews. You were eager  
6       to say something.

7               MR. MATTHEWS: Thank you, Judge Ryerson.  
8       I just wanted to -- we had a response to Judge  
9       Arnold's question about the emergency plan --

10              JUDGE RYERSON: Oh, okay. Great.

11              MR. MATTHEWS: -- and that is, yes, today  
12       the WCS emergency plan includes aircraft crash as a  
13       site area emergency. It is one of the alerts.

14              JUDGE ARNOLD: Okay. So it's carried  
15       over.

16              MR. MATTHEWS: Yes, Judge Arnold.

17              JUDGE RYERSON: All right. Thank you, Mr.  
18       Matthews. Anything else, anyone?

19              We will resume at nine o'clock tomorrow.  
20       Thank you.

21              (Whereupon, at 4:40 p.m., the oral  
22       arguments in the above-entitled matter were recessed,  
23       to reconvene at 9:00 a.m., Thursday, July 11, 2019.)

24

25