

ORIGINAL

For

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

Title: BRIEFING ON MEDICAL REGULATION ISSUES

Location: Rockville, Maryland

Date: Thursday, June 13, 1997

Pages: 1 - 59

For
di

ANN RILEY & ASSOCIATES, LTD.

1250 I St., N.W., Suite 300
Washington, D.C. 20005
(202) 842-0034

9706190095 970613

PDR 10CFR
PT9.7

PDR



DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on June 13, 1997 in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 ***

4 BRIEFING ON MEDICAL REGULATION ISSUES

5 ***

6 PUBLIC MEETING

7 ***

8 Nuclear Regulatory Commission
9 Commission Hearing Room
10 11555 Rockville Pike
11 Rockville, Maryland
12

13 Thursday, June 13, 1997
14

15 The Commission met in open session, pursuant to
16 notice, at 9:00 a.m., the Honorable SHIRLEY A. JACKSON,
17 Chairman of the Commission, presiding.
18

19 COMMISSIONERS PRESENT:

20 SHIRLEY A. JACKSON, Chairman of the Commission
21 KENNETH C. ROGERS, Member of the Commission
22 GRETA J. DICUS, Member of the Commission
23 EDWARD McGAFFIGAN, JR., Member of the Commission
24 NILS J. DIAZ, Member of the Commission
25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1250 I Street, N.W., Suite 300
Washington, D.C. 20005
(202) 842-0034

1 STAFF AND PRESENTERS SEATED AT COMMISSION TABLE:

2 KAREN D. CYR, General Counsel

3 JOHN C. HOYLE, Secretary

4 HUGH THOMPSON, JR., Deputy EDO

5 CARL PAPERIELLO, Director, NMSS

6 DONALD COOL, Director, Division of Industrial &

7 Medical

8 Nuclear Safety, NMSS

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1250 I Street, N.W., Suite 300
Washington, D.C. 20005
(202) 842-0034

P R O C E E D I N G S

[9:00 a.m.]

CHAIRMAN JACKSON: Good morning, ladies and gentlemen. Today the NRC staff will brief the Commission on its proposed program for revision of 10 CFR Part 35, Medical Uses of Byproduct Material.

In a March 20, 1997, Staff Requirements Memorandum the Commission directed the staff to submit a program for Commission approval for revising 10 CFR Part 35 and associated guidance documents and the Commission's 1979 Medical Policy Statement, if necessary.

The staff's proposed program was submitted to the Commission in SECY-97-115 dated June 5, 1997, and currently is under review by the Commission.

Today's presentation provides the Commission with an opportunity to request clarification from the staff regarding specific issues of individual concern by the Commissioners as well as for the staff to provide preliminary feedback to the Commission gained from its recent meetings with professional organizations.

We look forward to hearing from the staff on its program for achieving the goals of the SRM. I understand that copies of the paper and slides are available at the entrances to the meeting room.

Unless my fellow Commissioners have anything to

1 add, Mr. Thompson, why don't you begin.

2 MR. THOMPSON: Thank you, Chairman Jackson. I
3 appreciate the opportunity to meet with the Commission this
4 morning. This is one of the most important rulemaking
5 activities that we have underway, particularly in the
6 nuclear material side of the house.

7 Part of the reason is the current Part 35 has
8 been, as you know, one of the more controversial activities,
9 and our program had really been to strive to achieve early
10 widespread input from the medical community as well as the
11 other affected parties, such as the Agreement States and
12 members of the public, since this is where radiation is
13 intended to be delivered for good purposes, and we obviously
14 have the issues associated with the practice of medicine and
15 not interfering with the practice of medicine.

16 With me today is Dr. Paperiello, who will have
17 some opening remarks, and Dr. Don Cool, who will be the
18 primary presenter.

19 We are aware of the Commission's concerns with
20 respect to the timing in the current paper, and we are
21 prepared to address that issue and provide some alternatives
22 if the Commission would be interested in ways that we are
23 able to address the alternative approaches to accelerate the
24 time frame in which this rulemaking could be conducted.

25 Carl.

1 MR. PAPERIELLO: Dr. Cool is going to make the
2 presentation for NMSS, but I want to basically describe the
3 issue on the time line and how we got there.

4 The rule is going to be complicated because of the
5 volume of material, and it's not just the rule, but the
6 licensing guides and the standard review plans that we are
7 going to prepare for all modalities to go in parallel with
8 the rule.

9 When the Commission paper came to me last week,
10 the proposed time line met the Commission target of
11 completion by June of 1999, but each of the three periods
12 for public comment that I was given were so short, 45 days,
13 that with the volume of material to be reviewed, I feared we
14 would be accused by the medical community of deliberately
15 not giving them adequate time to review all of the relevant
16 material. So I directed the staff to add more time for
17 input. The paper went forward.

18 After discussions last Friday, I realized that
19 while I had been very conscious of the Commission direction
20 to consider a rulemaking process that provides more
21 opportunity for input from potentially affected parties than
22 is provided by the normal notice and comment rulemaking
23 process, I was less sensitive to the Commission target date.

24 Subsequently we have prepared a revised time line
25 that I believe ought to meet both goals with a little

1 technical innovation. We have to present this as a backup
2 slide.

3 What we would do is drop one of three rounds of
4 facilitated meetings and public comment period. We would
5 use the Internet as a forum to present the rule as we
6 actually draft it and invite continual public comment on it
7 as we write it. Then the Commission would get the proposed
8 rule by next May, and assuming the normal rulemaking process
9 thereafter, we would meet the target date of mid-1999.

10 CHAIRMAN JACKSON: You have this in a backup
11 slide?

12 MR. PAPERIELLO: Yes.

13 CHAIRMAN JACKSON: Why don't we hear your plan
14 overall and the feedback you have gotten, and then let's
15 revisit it with your backup slide again.

16 MR. PAPERIELLO: That's what we would propose.

17 MR. THOMPSON: Don.

18 MR. COOL: Thank you.

19 Good morning. If I can have the first slide.

20 [Slide.]

21 DR. COOL: Things that I wanted to try and touch
22 on today very briefly was the plan program, as the Staff
23 Requirements Memorandum had indicated.

24 Some of the conceptual ideas that we have been
25 looking at and discussing with various groups, the states,

1 and several of the medical societies already.

2 Some of the feedback that we got from those groups
3 that they told us over the last couple of weeks.

4 So that's roughly where we are going to be going.
5 The next slide, please.

6 [Slide.]

7 DR. COOL: To try and provide right at the very
8 beginning some of what you mentioned in terms of
9 clarifications.

10 We have used the words "enhanced participatory
11 rulemaking" a great deal on the advice of the Special
12 Counsel for Public Liaison and the folks in OGC, who
13 indicated to us that any time per the SRM direction we get
14 beyond the formal Administrative Procedure Act process we
15 are enhanced in some mechanism.

16 Having said that, the degree to which it is
17 enhanced, the mechanism by which it is enhanced are all open
18 for consideration, debate, modification, and otherwise. We
19 took an approach, as I am going to be going through in a few
20 minutes, which had several opportunities, each of which had
21 specific reasons. There were pros and cons for each one of
22 those.

23 The second term that was used, which I think may
24 well have been misconstrued, was the phrase "blank piece of
25 paper." That was not an indication that we had an empty

1 head or no ideas, but rather an opportunity to let folks at
2 the beginning stages of the process, before any formal
3 drafting had been written down, provide views with regards
4 to how they would write the rule

5 In certain specific areas there are some places,
6 as the SRM directed us, to go and get industry codes and
7 standards and practices; how to capture precursor events; a
8 couple of the other items that you have asked us for where
9 as you get into the levels of detail, while there are some
10 conceptual ideas that the devil is always in the detail of
11 exactly how you write it and where you stop, that was our
12 intention in terms of providing them an opportunity before
13 already seeing language which might be construed as "the
14 concrete already poured; perhaps we can change the way we
15 mark the lines on the sidewalk, but it's already there" and
16 provide that opportunity as one of the possibilities for
17 enhancing the process.

18 CHAIRMAN JACKSON: Yes, Commissioner.

19 COMMISSIONER MCGAFFIGAN: I want to pursue this.

20 I've listened to you and to the medical community for the
21 nine months I have been here. On a lot of issues there is a
22 tremendous commonality of views; on some there isn't; and on
23 some the Commission and the staff may well end up in a
24 different place in the medical community.

25 It strikes me that the comments we have received

1 thus far -- and you have been receiving comments for four or
2 five years on this subject -- have been all up here at the
3 level of grand vision. I haven't seen anybody getting down
4 to saying Part 35, section 1202 should read as follows.

5 I think the game that has to be played is somebody
6 has to be brave enough to write those words down without
7 saying this is locked in concrete.

8 I used to go through this in acquisition policy.
9 We need to do more commercial-like activity, use more
10 commercial activities. No one ever said that means in Title
11 10 U.S. Code 2503 you need to write it as follows, until we
12 had what was called the Section 800 Panel.

13 In order to get from grand vision, Packard
14 Commission visions down to what does Part 35, section 1202
15 look like, you have to put something down on paper. In my
16 view, it's all a matter of how it is put on paper and the
17 degree to which you give any indication that this isn't
18 anything but a discussion draft, that this is truly a means
19 to get people focused as opposed to this is our final word
20 and we are going to be willing to change the adverb "maybe."

21 CHAIRMAN JACKSON: Did you have some issues that
22 you were prepared to pencil in? Pencil as opposed to pen
23 in. Where you planning to proceed along the line that the
24 Commissioner has --

25 MR. COOL: Yes. In fact I agree with him

1 completely. That is specifically what I talked about with
2 ACNP/SNM last week. That's what I talked about this week
3 with the American College of Nuclear Physicians; that's what
4 we talked about with the Agreement States at this year's CPD
5 meeting: the time for the high ideas was done; we need to
6 have draft language; and that's what we need to try and
7 proceed with.

8 The object here was to try and get exactly that.
9 You've always got people who are not going to do that sort
10 of thing. They're going to stay up at a higher order level,
11 but our hope was to have at least a few folks who would get
12 down, would go back, as I think you suggested to the ACMUI,
13 take a look at your license, take a look at the rules that
14 pertain to your area and write me a draft.

15 We were really in hopes that we would have several
16 of those folks, staff included. We weren't going to be
17 sitting there going, well, let's see what they bring us and
18 try and crank our own ideas. So I had a melting pot and
19 poured them all into the pot of specific language so that we
20 could stir them around to try and come up with a draft.

21 CHAIRMAN JACKSON: You can speak for yourself, but
22 in order to move the discussion along, the question becomes,
23 if all of that solicitation from the interested parties
24 doesn't work, are you prepared to pencil as necessary to get
25 the conversation going?

1 MR. COOL: Absolutely. We are not only prepared
2 but planning to do our own cut on the version along the way
3 as they were giving us versions.

4 MR. THOMPSON: I think we are actually getting a
5 large degree of enthusiasm on the industry's part to
6 participate in this. That's the good news.

7 CHAIRMAN JACKSON: The not good news or the
8 question that follows from that is -- and as you point out,
9 you've heard me say this to individuals who have come -- we
10 have to put some pencil to paper here. If they have some
11 specific ideas, they need to come forward with them, and if
12 not, then you are prepared to lay some issues on them.

13 MR. COOL: We're ready to go do. Yes, ma'am.

14 CHAIRMAN JACKSON: I think Commissioner Diaz has
15 something.

16 COMMISSIONER DIAZ: It's in the same vein. It's
17 on the issue of what you put out there first, something that
18 already has some direction so people can see where we are
19 going, and then have people write, change and everything.
20 It's in the same vein.

21 COMMISSIONER MCGAFFIGAN: I think this is a good
22 discussion, and hopefully the community hears it. Another
23 way to try to shorten things and yet have people focused on
24 the level of detail you need is to perhaps even put options
25 out there. You said earlier Internet. You can have options

1 A and B and C and have people discussing the options. There
2 is no better way to imply that you have an open mind than to
3 have several options, if indeed all of them look viable.

4 MR. COOL: I think we will go ahead and proceed.

5 A number of the things that we heard in the meetings over
6 the last few weeks bear on this point, and I'll get back to
7 them when we get down to the slide on what we heard out
8 there.

9 Go to the next slide.

10 [Slide.]

11 DR. COOL: Conceptually the proposed steps of this
12 plan was to provide two additional opportunities in a more
13 formalized sense to interact with the community, with the
14 states and others during the development phase, before there
15 was the formal proposed rule process.

16 The first of those, an early input phase, as we
17 have been talking about, to try and get people to give us
18 very detailed specifics, their version of the rule so we
19 could stir those together.

20 To try and develop those more refined into a set
21 of options, because you will always have some measure of
22 shotgun. The more controversial the issue, the greater the
23 spread of the BB's.

24 To provide the Commission an opportunity to take a
25 look at what has been developed and the sort of options on

1 the table as a mechanism of ensuring that if there were some
2 that we needed to say, well, that scatters a bit out of the
3 range that we would really like to consider, that we would
4 have that opportunity.

5 Then to go in in a second round of some
6 facilitated discussions, sit around the table and say,
7 here's some language, here are some alternatives, here are
8 some particular concerns. Training and experience will be
9 one of those, I think, and some of the others. And to
10 hammer around on that language such that the proposed rule
11 that would come forward would have the benefit of those
12 discussions, would have the benefit of the input and
13 activities such that I would hopefully be able to represent
14 to you that there was, while not consensus, because there is
15 just simply too wide a range to ever hope that you would
16 actually be able to have a consensus from the various and
17 divergent groups, but at least a strong central tendency
18 towards the things that were being brought forward as an
19 actual proposed rule.

20 CHAIRMAN JACKSON: You mentioned in your paper the
21 possibility that the public meetings you might have
22 facilitated by a contractor.

23 MR. COOL: Yes.

24 CHAIRMAN JACKSON: Have you given any thought to
25 having the actual working group sessions when you are trying

1 to resolve what may be quite juxtaposed positions also
2 facilitated to help you see what the path through the forest
3 is?

4 MR. COOL: Had not directly, although that is
5 certainly an option. The working group -- and we'll get to
6 that in a minute -- of state and NRC people as adequacy and
7 compatibility sources has been used in a number of cases in
8 a fairly small group. While generally run in a notice
9 session as if it were a Federal Advisory Committee Act
10 committee such that they are open to the public, those have
11 at least in the past been very much limited to public
12 observation and opportunity just to express views towards
13 the end and have not been, except in the one case where the
14 group ran a deliberate facilitated or more open meeting, an
15 interaction with folks other than on the committee itself,
16 those five or six people. So I hadn't actually looked to
17 facilitation, but that would be an additional option.

18 CHAIRMAN JACKSON: Commissioner Diaz.

19 COMMISSIONER DIAZ: It's probably the way that
20 it's written, but if I were to come and get in here and look
21 at this, it will give me the impression that this process is
22 just really a beginning or a start. We have been doing this
23 for years. We have been gathering information; we have been
24 calling people who have been talking about it; and now we
25 will be talking some more. Isn't it time that we say we

1 have got at least a percentage of the knowledge known and
2 now we go forward?

3 This is a great plan to start the whole process,
4 but we are not starting it. I believe there is something in
5 here that is not compatible.

6 CHAIRMAN JACKSON: I think what you are being
7 asked is the following, if I can paraphrase. Aren't you at
8 a point where you can at least lay out some binned options
9 to begin the discussion, to provide a framework for the
10 discussion? There have been discussions. You kind of know
11 in the large what people's concerns are. The knowledge base
12 has evolved and enlarged. Should that not allow you along
13 the lines of what you have been hearing to lay some options
14 onto the table, to begin to have what I will call the binned
15 discussion so that things are not all over the planet?

16 MR. COOL: The answer to that question is yes.

17 CHAIRMAN JACKSON: Is that how you intend to
18 proceed?

19 MR. COOL: We can jump straight to the alternative
20 if you would like.

21 MR. THOMPSON: One of the things we kind of
22 paralleled, and maybe this is not particularly the most
23 wonderful example of success, was the decommissioning
24 criteria. That was one where we really had criteria for
25 cleaning up sites for years and years; we knew what we were

1 doing; but we really were trying to develop in a
2 controversial area, to try to establish as much input, to
3 build as much foundation as we could. We have quite a bit
4 of experience of how we would change it where there are some
5 things that we don't like. We're not sure that we have all
6 the input from the affected parties of how they would see
7 this change being made.

8 CHAIRMAN JACKSON: Let me just say the following.
9 I think there are two ways things can evolve. The affected
10 communities can go back, look at their licenses, whatever.
11 As I had suggested, they can come forward and see how the
12 existing regulations cause them egregious problems and come
13 back with some suggested language in certain areas. Absent
14 that, we know from discussions what the big concerns are.
15 That should allow you to frame out some options.

16 MR. COOL: That's correct.

17 CHAIRMAN JACKSON: Nothing focuses attention like
18 having specific things to look at. If you can't focus the
19 attention otherwise, you will focus it and you will then get
20 a lot of input, because when people see the words on paper,
21 then they begin to really think about how it's going to
22 affect their lives. I think that's all we are really
23 talking about here.

24 Why don't we move on?

25 MR. COOL: I think perhaps we are in what around

1 my office we refer to as nearly violent agreement.

2 CHAIRMAN JACKSON: Exactly. So we are preaching
3 to each other, to the choir.

4 MR. COOL: Next slide.

5 [Slide.]

6 DR. COOL: This was a little graphic. It mirrors
7 one of the things that is in the paper, the conceptual
8 framework and input process. Not to say that the staff
9 would not have been working on a variety of its own drafts
10 and otherwise during each of those processes; a
11 developmental process to refine those.

12 One of the things I know I feel very strongly
13 about is that development process goes way beyond the rule.
14 The rule is merely the simpler half. All of the guidance
15 that goes along with it, the actual what are you going to
16 submit, what kinds of things are we actually going to look
17 at in the review, what sorts of things are we going to have
18 in there as hooks in terms of enforcement, how much will we
19 need to go looking for other specific pieces of information
20 if we run into a difficulty, all of those variety of things
21 also have to be developed in parallel with that. So there
22 was a whole series of developmental activities.

23 And then providing an opportunity for the
24 Commission to review and approve that.

25 This was a conceptual step-wise model that we had

1 proposed to use on each of those phases.

2 COMMISSIONER DIAZ: One comment on the
3 presentation. If I walk in and look at this, it looks the
4 very first thing you are going to do is public input. Don't
5 you think there should be a big rectangle on the top that
6 says the process that we already have gone through with
7 time, all the things that actually come before the public
8 input? We have been working on it for years.

9 I know you know. I know you have been working on
10 it, but it doesn't strike me as right to start with public
11 input. It should start with a massive analysis and things,
12 and then we solicit public input.

13 CHAIRMAN JACKSON: High order concerns and issues.
14 Then public input.

15 MR. COOL: Should I go ahead and proceed?

16 CHAIRMAN JACKSON: Please.

17 MR. COOL: The next slide, please.

18 [Slide.]

19 DR. COOL: In terms of the actual staff
20 development work, the proposal entails the use of a steering
21 group/working group format. This is something which is
22 actually in the management directive for development of
23 rulemaking. It has been used on a number of occasions, Part
24 20, the decommissioning criteria, some of the NRR financial
25 assurance documents, and otherwise.

1 There are a couple of new little pieces to this.
2 While we have had Agreement State individuals participating
3 in a variety of groups, adequacy, compatibility and a
4 variety of others, this would, I think, be the first time
5 where we had asked someone from the states to actually
6 participate on a group that was actually drafting a
7 regulation.

8 We found that to be a rather important component
9 to us, for a couple of reasons. There are now 30 agreement
10 states out there. The states were very interested in
11 participating, and we wanted to get their input in an
12 ongoing process. The individuals nominated, including the
13 individual who is on the CRCPD, suggested state regulation
14 group to try and have a close liaison to that activity.

15 The organizations also suggested to us that one of
16 the individuals be from a non-Agreement State. Although the
17 actual individual nominated is in sort of the middle zone,
18 being from Ohio and well along in the process to becoming an
19 Agreement State, I think in fact their projected schedule
20 could have them be an Agreement State before 1999 and the
21 actual date of this rule.

22 To have that view and flavor because of the impact
23 that this rule has traditionally had, and others, with all
24 of the other things that happen in medicine and some of the
25 difficulties that have been experienced in times past, some

1 of the things in misadministration definitions and a variety
2 of things, where the states go back and look at those
3 definitions and say, well, that's really nice if you are
4 talking about this little box over here that is AEA. I have
5 co have a set of regulations that deals with this box and
6 deals with these other boxes associated with the x-rays and
7 otherwise. If you just change these few things over here,
8 then the definition could have been more uniformly
9 applicable.

10 So our suggestion as part of this plan was to
11 involve those people in the drafting process.

12 The steering group, which I would chair,
13 management level folks to review this. Also the suggestion
14 to include someone from the states, probably a program
15 director level person, to again provide that kind of input.
16 This is a new wrinkle to the process, although not entirely
17 new in the sense that the impact management review boards
18 have a state program person who serves on each of the boards
19 in a liaison capacity.

20 We have tried to take some of these ideas that
21 have been generated in other forums, and this is, very
22 frankly, the first time that it would be attempted in a rule
23 process.

24 We also are very much in hopes to use some
25 consultants and to heavily use the Advisory Committee on

1 Medical Use of Isotopes; the medical visiting fellow, who
2 was still within the NMSS staff; have each of these folks
3 playing key roles, writing down immediately their particular
4 areas; Myron Pollycove, our medical visiting fellow, a
5 wealth of experience, particularly in the therapy area with
6 unsealed materials, one of the areas where there will be
7 some controversies in training and experience and otherwise.
8 So in hopes to reach out and get a number of these folks.

9 We have been working with the Office of General
10 Counsel in terms of conflict of interest and how to deal
11 with some of those kinds of issues, because obviously the
12 people who have the immediate information and have the
13 online experience are also the people who are going to be
14 affected by the rule. So we have to walk a little bit of a
15 careful line in that process.

16 Go to the next slide, please.

17 [Slide.]

18 DR. COOL: Getting back to the point that several
19 of you have already made, there is a lot of data. There are
20 a lot of things out there. We have been and need to
21 continue to pull, distil, get a number of things which we
22 have our hands on: the event databases; our experience in
23 inspection and enforcement; some of the analyses that we
24 have done, such as what happened in terms of the quality
25 management rule and some of those other activities.

1 We have been trying to establish and I think have
2 been successful in establishing some contacts
3 internationally. The International Atomic Energy Agency and
4 some of the things that are going on in that arena. Our
5 understanding is that the European Community is revising
6 some of their directives in this arena more or less in
7 parallel, although I think they are slightly ahead of us.
8 Have some contacts there to try and establish and have some
9 liaison there.

10 The variety of professional societies, the states
11 and organizations, and the whole range of the various
12 subgroups that are out there, to try and tap into databases
13 and information which they have, including, for example,
14 some of the accreditation processes, JCHAO and some of the
15 other folks, which may have pieces which could serve as
16 models for a more performance oriented examination of what
17 might be useful to us as we look at enforcement, as we look
18 at credentialing.

19 CHAIRMAN JACKSON: Commissioner Dicus.

20 COMMISSIONER DICUS: On the professional
21 societies, I noticed in your paper you listed quite a few as
22 potential sources of contacts, and so forth. But absent
23 from that list was anyone representing pharmacies or even
24 the medical technologists. Is that intentional or did you
25 just not consider that?

1 MR. COOL: The list was a short list so as not to
2 have a long paper. I have signed over 50 letters to a much
3 longer list of various societies and otherwise, including
4 folks in that arena, asking for opportunities to meet with
5 them; our interest in interacting with them through this
6 process. We wrote a sort of short list of the bigger ones.
7 That is not intended to be inclusive or exclusive.

8 COMMISSIONER DICUS: So you are including the
9 radio pharmacies?

10 MR. COOL: We would very much want to do so, yes.

11 COMMISSIONER DICUS: I may have another question
12 about that. We'll come back to it.

13 MR. COOL: The next slide, please.

14 [Slide.]

15 DR. COOL: Continuing along the same vein, there
16 are a number of things which have floated around which have
17 been sitting in limbo, if you will, in various stages. Some
18 of the things which came out of the Indiana, Pennsylvania,
19 event from several years ago where a brachytherapy source
20 broke off from its wire and remained in the patient. A
21 number of the action items came out of that. That was the
22 actual genesis even of the medical management plan.

23 There are a number of rulemakings that were tossed
24 onto the table at various times. As the SECY paper 97-062,
25 which came up a month or two ago with the semiannual

1 rulemaking update, indicated in that paper, the intention
2 would be to subsume those more individualized actions into
3 the overall revision and deal with them. Again, there are
4 background documents and thinking that has gone into some of
5 those which would be incorporated.

6 There have been some other issues papers that have
7 been generated to try and lay out ideas and thoughts in
8 brachytherapy and some of the other areas.

9 There are some of the internal staff audits, the
10 one that Dr. Paperiello did a couple of years ago, and some
11 others.

12 Again, there are a whole bunch of things which are
13 already on the table and serve as a baseline for this
14 activity.

15 Next slide, please.

16 [Slide.]

17 DR. COOL: Having said all those things, there are
18 a series of issues. This again is not meant to be all
19 inclusive, but some of the bigger ticket items, some of
20 which match items which are in the Staff Requirements
21 Memorandum, some of which will be on that.

22 We are specifically looking at the issues with the
23 association of the quality management rule, which one of the
24 objectives, how many of the objectives, how much other
25 detail, and where those apply in a graded basis to the

1 various kinds of modalities and treatment.

2 Medical practice and treatment is a vast range,
3 from very, very small amounts of material to very, very
4 large quantities of material, from unsealed materials to
5 sealed materials, and the kinds of things that are needed in
6 a variety of these areas.

7 Obviously if you are wanting to rank them by risk,
8 to be varied by those areas, right now these are a single
9 place in the regulation and sit there without a whole lot of
10 variation on the theme.

11 The issues associated with what kind of events to
12 capture, precursor events and other activities. Our thought
13 here is really how do we get to those events which are of
14 more regulatory interest, those for which they indicate
15 concerns which really need to be propagated to other
16 licensees because they may have generic implications.

17 Or issues of how particular things are done or
18 otherwise. Things that are associated with breakages,
19 failures.

20 Other sorts of things for which particular actions
21 are necessary, or which would indicate that there is a flaw
22 or otherwise within the regulatory structure, either in the
23 material that is submitted in response to the rule or in the
24 rule itself, but which have an actual influence on that, and
25 try and get a way to the extent we can to whether or not you

1 missed on that patient for some rather unique and singular
2 reason which doesn't have more generic ramifications by 5
3 percent or 10 percent or otherwise, particularly in
4 situations where within the medical realm there is a typical
5 range of practice within which physicians choose
6 prescriptions and treatment plans on a routine basis. If
7 you went around and sampled them, you would find that kind
8 of variation. So maybe you are off by a few percent in that
9 particular one. If there were no more specific
10 implications, you were inside that kind of typical range;
11 not at all clear why we should be concerned with that
12 particular activity.

13 The issues of training and experience. This, I
14 think, will be one of the more difficult ones. It gets to a
15 couple of points.

16 Who do we specify requirements for? In some cases
17 the individual who has the most influence on whether or not
18 it works right is not the physician at all; it's the medical
19 physicists, the individuals who are doing the treatment
20 plans and otherwise. In this particular case, teletherapy,
21 brachytherapy, the higher risk modalities, the bigger doses.

22 The physicians themselves. The whole concept, as
23 on the next slide we will get to in a little bit, of the
24 authorized user, a concept which goes way, way, way back,
25 and which in the medical community today, while still very

1 much used because it has grown and everybody has sort of
2 adapted and followed this approach, may not in all cases
3 actually track the way medicine is done these days in terms
4 of groups of physicians, in terms of HMOs and referrals and
5 cross-referrals and other activities; as to who that
6 particular individual who ends up being the one who is
7 hooked needs to be and trying to sort that out without
8 getting in the middle of turf fights, without getting in the
9 middle of the way in which a particular medical community or
10 large institution might wish to practice the activity and
11 conduct the referrals.

12 There are a number of issues there, particularly
13 in radionuclide therapy and in some of the things like
14 brachytherapy, high dose rate gamma stereotactic therapy,
15 which has an incredibly large number of sources and can do a
16 whole lot of damage if you miss and for which the physician
17 simply says "I want it there" and for which a team of
18 individuals goes in then implements that process.

19 Capturing emerging technologies. This is one of
20 the places where the technology changes faster than they
21 have annual meetings to go see what the new stuff is. You
22 walk around the floor, as I did, down in San Antonio and
23 you'd just be amazed at the kinds of innovations and changes
24 and new things that they are popping out on the floor every
25 few months in terms of equipment and modalities and

1 activities. It's going to be a thing which constantly is
2 changing, constantly is modifying and otherwise.

3 How to best capture that, how to best structure
4 the organization, which we believe is by more or less
5 all-inclusive modality blocks so that you can go in and add
6 or modify one without affecting all the others or having to
7 consider quite so much those ramifications.

8 In some cases we may know that there is something
9 coming. We may not be smart enough right now to know
10 exactly what. Monoclonal antibody therapy is still very
11 much in a research developmental stage. It may look a lot
12 like radionuclide therapy. Then again it may not in certain
13 contexts that might be important from a regulatory
14 standpoint.

15 Accreditation process. As I mentioned a little
16 bit earlier, there are a number of things which happen on
17 the medical community side of the house irrespective of NRC
18 or irrespective of use of radioactive materials in terms of
19 accreditation of hospitals, in terms of accreditation of
20 programs and systems and other activities. What we very
21 much want to do is to look at some of those and see if there
22 are things which we can piggyback and use, reference or
23 otherwise.

24 As you had requested in one of the specific line
25 items in the SRM, to look at that. We view those processes

1 as being within the scope of industry codes and standards in
2 terms of things which may be useful to us. Some of them may
3 not be, and we will just have to see where they are. And it
4 may be very variable. There may be some in some modalities
5 which are usable and not in other modalities. I would
6 anticipate at this point a great range within what we have
7 available that we can actually use.

8 We can go ahead to the next slide.

9 [Slide.]

10 DR. COOL: As we have been going through this and
11 applying a lot of thinking to it already, we keep coming
12 back to what does someone mean when they toss out, sometimes
13 rather glibly, that little phrase, "well, medical judgment"
14 in this particular area.

15 As I start to look at the questions of what do you
16 need to report and what is an event and what are the
17 experience requirements you have to do, and what constitutes
18 a prescription, and all those sorts of things, all of those
19 evolve back to somewhat of a root of what exactly is the
20 purview -- this has always been a line that we have had to
21 deal with -- of the medical judgment, which is the right and
22 direction of the physician in dealing with that particular
23 patient, versus the point at which it moves over into a
24 protection standpoint and those activities and how that
25 evolves in the process.

1 The sophistication of the practice. As I
2 mentioned a little bit earlier, we have a huge range both in
3 terms of the isotopes and risks and in terms of the sizes of
4 the institutions that are out there. You have private
5 practice clinics. They do rather limited things. They will
6 do some scans. They are a small group; limited resources,
7 limited activities.

8 You have on the other end of the spectrum the
9 huge, broad-scoped medical research, treatment and
10 everything else you can think of program who have got lots
11 and lots of resources, lots and lots of grants and
12 activities; a variety of things that they have the ability
13 to do simply because of the size and structure which they
14 have.

15 How again to construct a set of requirements which
16 is sufficiently robust that the smaller organizations for
17 which the phrase "tell me what the number is and how to do
18 it and I'll go do it" may well apply versus the large
19 organizations who really don't want to be told how to do it
20 because they have a variety of things and under certain
21 circumstances they may want to be doing something slightly
22 different because they know a lot about it; they are in a
23 research kind of mode; they are working with FDA or
24 otherwise, and they have a variety of activities. So trying
25 to deal with that span which is not too restrictive or too

1 loose on the ends of the spectrum.

2 What I have nicknamed on this chart the "bad
3 apple" factor for lack of a better way to reference it. How
4 do we deal specifically with the enforcement activities with
5 the relatively small percentage of folks who, for whatever
6 reason, are not in compliance, don't want to be in
7 compliance or otherwise with the requirements in dealing
8 with specific issues?

9 The more you move to a performance orientation the
10 more difficult in one sense it becomes to be able to take a
11 specific, very simple citation "you did X and Y improperly.
12 Bang! Here's your citation. You did it wrong." Everybody
13 says, "yeah, I agree. X and Y are very clearly written as X
14 and Y."

15 There are some tradeoffs back and forth between
16 those sorts of things. The medical community continues to
17 struggle with this on its own in terms of malpractice and
18 other activities, and self-regulation; what constitutes
19 acceptable standards of performance and care.

20 It's not one which is or can be divorced
21 completely from some of the other ongoing activities which
22 are going on in this community. This community is more
23 unique and more diversified than a lot of the other kinds of
24 licensees that we need to deal with. Once again, these are
25 the only folks around for whom we give them a license to

1 specifically put radiation and radioactive materials and
2 people in the same spot. Everybody else it's much simpler.
3 The concept of keeping the two apart makes it a whole lot
4 simpler trying to write up the requirements.

5 The last one on this chart I have already talked
6 about in terms of the authorized user and the potential
7 impacts for that and how the regulation is written.

8 CHAIRMAN JACKSON: I don't know what would help
9 deal with it. It would be dependent on who your consultants
10 are, et cetera, but it strikes me that an issue here or a
11 hidden issue or an overarching one is the one that relates
12 to the changes in the practice of medicine with the
13 formation of HMOs and other kinds of structures, which, as
14 you went through this list of issues, I can see affecting or
15 being affected by any number if not all of these. I would
16 just urge you to ensure that, if you haven't already, you
17 fold into your thinking the effect, and ensure that you get
18 some input, whether it's in the form of a consultant or on
19 your steering committee or whatever; that you get some input
20 along that line. Otherwise, you could end up with a rule
21 that is meant to address some longstanding issues that is
22 outdated the day it hits the street.

23 MR. COOL: I agree with you. That's part of the
24 reason as consultants we are trying to look at folks who are
25 practicing out there in the community. I'll be very frank

1 with you. The key source of people that we are in hopes to
2 use is to probably try and provide modifications to existing
3 contracts with the individuals who already are under
4 contract to the Commission to look at misadministration
5 events. A number of those are individuals who are also on
6 the ACMUI. One of the things on ACMUI is in fact an
7 individual who is a hospital administrator.

8 CHAIRMAN JACKSON: A hospital administrator in the
9 traditional sense is a very different individual than those
10 who are running medical businesses. So I'll be very honest
11 with you and say that you need to extend beyond your
12 existing source of contractors so that you get the right
13 kind of perspective and information that you need. There is
14 no point in our going through this effort and, as I say,
15 ending up with a rule that is outdated the day it hits the
16 streets.

17 MR. COOL: I agree.

18 We can go ahead and go to the next slide.

19 [Slide.]

20 DR. COOL: The organizational outline that we have
21 been looking at and that we have tossed onto the table
22 already as a pencil idea, and which when we get to the next
23 slide I will say has been received quite favorably thus far,
24 is a modality approach.

25 I want to start by saying that a modality approach

1 is not new. There have been groups going way, way, way,
2 way, way back in the medical field. Some of those may no
3 longer correspond to actual risks; some of them may be
4 folded together; other ones may need to be created.

5 The current Part 35 is to some extent modality
6 based. In you go in and look at it, you will find 100, 200,
7 300, 400 which deal with specific activities, but a large
8 part of the current Part 35 then has other things around it.
9 Those have tended to be the things that have caused us the
10 aggravation, the quality management, the training and
11 experience, some of the definitions. The proposal that we
12 have tossed out on the table is to take all of those and
13 make those modality-specific.

14 In essence, the organization would be something on
15 the order of a series of subparts such that if what you
16 wanted to do was diagnostic imaging with unsealed materials,
17 you could go to Subpart A and everything that you would need
18 to have, who was going to be licensed and what kind of
19 license or registration or otherwise, what do you need in
20 terms of technical things, what do you need to do in terms
21 of surveying, in terms of access controls, what do you need
22 in terms of training and experience, what do you need in
23 terms of reporting to us, what do you need in terms of
24 events and records and everything else, it's all there in
25 that one part.

1 You can have a second part for maybe therapies;
2 another part for low dose rate or manual brachytherapy;
3 another one for the high dose rate and pulse brachytherapies
4 where the sources are a lot larger and the equipment more
5 complicated; another one for teletherapy type units perhaps;
6 another one for gamma stereotactics where a whole other
7 series of complexities come in.

8 I may have left out some we have been thinking
9 through. We end up with six or seven possibilities right
10 now, trying to derive them both on the basis of the risk or
11 doses that could be derived or generated by some of those
12 practices, and at the same time keeping in mind that medical
13 practice, being what it is and that they are to some extent
14 binned with different groups performing different things,
15 that the rule or organization ought to more or less mirror
16 the kinds of things that they are doing so when they go grab
17 whatever it is, if they are in teletherapy, it's Subpart E,
18 and there it is.

19 To go along with that, what we are in hopes to do
20 under this model would be for the guidance document to match
21 that modality approach. So you grab the rule, you grab the
22 guide that goes along with that rule, and you have
23 everything that you would need and everything that the
24 license reviewers would be looking at in that particular
25 arena.

1 CHAIRMAN JACKSON: Chairman McGaffigan

2 COMMISSIONER MCGAFFIGAN: How do you deal with
3 emerging technologies that don't fit one of the parts? Do
4 you have a subpart called emerging technology that says that
5 this is how we do it?

6 MR. PAPERIELLO: That's what we would do. We
7 would have a sort of a catchall category, and as we got
8 experience, then we would eventually drop another module
9 over that particular modality.

10 COMMISSIONER MCGAFFIGAN: So you would have
11 something in there so that you wouldn't be a hinderance?

12 MR. PAPERIELLO: Obviously.

13 COMMISSIONER MCGAFFIGAN: You would have a
14 place-setter, and then as it got a formal title, it would
15 get its own subpart over time.

16 MR. COOL: Exactly. A set of things which would
17 in general lay out the kinds of minimum criteria for these
18 sorts of things, which you would then look at on a
19 license-specific basis as they started to develop that, and
20 as you develop the set of criteria and the practice itself
21 and got to the point where it was probably moving from a
22 research developmental kind of mode into a routine use mode,
23 then you could mirror that with a new subpart.

24 This organization, quite frankly, is likely to
25 result in more words in Part 35, because there will be to a

1 certain extent repetitions.

2 CHAIRMAN JACKSON: You mean I am not going to be
3 able to tell the Vice President that we have eliminated so
4 many pages of regulations? We get asked that every year.

5 MR. COOL: That is in fact a downside, but if you
6 were a diagnostic group, you've actually eliminated a bunch
7 of pages, because they only need Subpart A. So it sort of
8 depends on how the Vice President wants to count.

9 CHAIRMAN JACKSON: I'll take you along with me.

10 MR. COOL: I'm sure that would be a wonderful
11 discussion as well.

12 MR. PAPERIELLO: I would make an observation. We
13 have put entirely too much prescriptive requirements in Part
14 35. Surveying once a week. That is absolutely unnecessary
15 to be in a rule. On the other hand, surveying a patient
16 after brachytherapy before you release them, I probably
17 would leave that prescriptive requirement in the rule
18 because it's a simple thing, and if you do it, you can
19 prevent one hell of a lot of damage. How many times you
20 survey your laboratory -- I don't know. Tell me how much
21 you do in a laboratory.

22 COMMISSIONER MCGAFFIGAN: It sounds like they have
23 an outline at least for their rule.

24 CHAIRMAN JACKSON: It's well hidden to this point.

25 COMMISSIONER MCGAFFIGAN: So the pencils can start

1 working.

2 CHAIRMAN JACKSON: All right. Let him show his
3 last viewgraph.

4 MR. COOL: If I can have the next slide, please.

5 [Slide.]

6 DR. COOL: We have already had several
7 interactions, some of which you are very much aware of. In
8 terms of the ACMUI meeting back in April, they presented
9 their views to you in a meeting a little over a month ago.

10 We went out and had discussion at the Conference
11 of Radiation Control Program Directors meeting. That was in
12 late May. We presented them with the ideas and thoughts,
13 presented them with this modality approach as an idea;
14 tossed some rocks at it, and very much encouraged them as we
15 did in each of these cases that we need to get down to the
16 real words, the real language. That was echoed by a number
17 of the individuals in the meeting on the need to provide
18 specific, explicit language.

19 In this first round of meetings, not^a surprisingly,
20 they sort of got it tossed at them for the first time:
21 okay, the process that they have been talking about and we
22 have been talking about, and we're waiting. Well, okay, now
23 it's go.

24 Didn't get a whole lot of "30.32 really should be
25 written this way at this point," but I believe a number of

1 folks went away from that with the idea that they were going
2 to go back and start to look at their particulars.
3 Interacted specifically with the people who have been
4 nominated to work with us on that working group. Very much
5 interested in talking in terms of schedules and ideas and
6 when things would be coming up, some of the ideas which they
7 had going on.

8 A week ago, down in San Antonio the Society of
9 Nuclear Medicine had their annual meeting. They carved a
10 two-hour block out in the middle of their schedule for us to
11 come down and talk. Presented again the same sorts of
12 views. Had it on the table.

13 Most of the feedback during that actual meeting,
14 not surprisingly, dealt with process rather than individual
15 details of the rule language. The process that was being
16 pushed for by individuals in the audience was a much more
17 participative process than the staff proposal.

18 I can summarize it in two words. It looked for
19 all the world like negotiated rulemaking. The comments were
20 almost universally along the lines of we want to be in the
21 beginning, we want to be writing with you. At one point we
22 wanted to have an equal vote and sit around the table so NRC
23 doesn't have an overriding vote. Some of those sorts of
24 things.

25 Separately while I was in San Antonio I met with

1 the leadership of the group, who expressed perhaps a
2 slightly more moderate view. Again, very interested in
3 participating and writing. They indicated they would come
4 in and talk to several of you. I'll take it at face value
5 that they did so, and your views of what happened during
6 that interchange are probably different from their views of
7 what happened in that interchange.

8 They were very supportive of having a chance to
9 write early and told me that they were going to go start
10 trying to write down specific pieces, Society of Nuclear
11 Medicine being particularly interested in the unsealed area
12 and in the diagnostic arena, which is an area where likely
13 there are going to be significant changes because that's an
14 area which we can probably walk away from a lot of the stuff
15 that is there now.

16 I believe that they are in a position, after
17 having talked with their leadership, to get us specifics in
18 language. They are very interested in that process. They
19 are also very interested in participating around the table
20 to hammer out the details of the work.

21 This week, in Tahoe, the American College of
22 Medical Physicists annual meeting. These are the folks who
23 are on the line dealing with higher risk activities,
24 translating prescriptions into treatment plans, teletherapy,
25 brachytherapy, and otherwise. These are the higher risk

1 folks. Again, very, very interested in the process, very,
2 very much wanting to be participating, and indicating to us
3 that they will have us written stuff within the next month,
4 and wanting to be very heavily involved in the process.

5 So the feedback at the first level has been more
6 related to process. We've seen a great level of interest
7 out there. Have a number of at least verbal commitments
8 that written materials and details would be forthcoming,
9 which can only be judged as we get down the line and see to
10 what extent we actually get that.

11 Sort of the two ends of the spectrum, the unsealed
12 materials and the lower risk materials, very much
13 interested, and the medical physicists and the higher risk
14 arena, also in the same sort of position. That's in general
15 the kind of feedback that we have gotten to date, which has
16 been generally appreciative.

17 CHAIRMAN JACKSON: Commissioner McGaffigan.

18 COMMISSIONER MCGAFFIGAN: He essentially answered
19 it in the second part, which is within a month, which you
20 said for the second group, that you will be getting some
21 words. The first group, they have a chance to write early;
22 they are anxious. To some degree these folks have had many
23 years to write. If they will get something in, it would be
24 useful. Do you have a sense it will be soon?

25 MR. COOL: We didn't talk days. They were

1 indicating that someone of the government relations group
2 would probably be here in the audience. Our expectation is
3 we will get back to them with more specifics as soon as we
4 knew it. The impression, because we did not talk days and
5 schedule because I couldn't talk days and schedule, was that
6 they wanted to participate, and if that meant that they
7 needed to move quickly, that at least the leadership was
8 prepared to do so.

9 CHAIRMAN JACKSON: Let's see your backup slides.

10 MR. COOL: If I can have backup slide 1,
11 Alternative One.

12 [Slide.]

13 DR. COOL: Alternative to the process that we have
14 laid out is to walk away from the formal first round of
15 interactions. Much along the lines that you said, there are
16 a number of background documents. Go ahead and start
17 putting pencils and otherwise to paper.

18 These slides are not in your book. These have
19 been generated over the last couple of days. I apologize
20 that we don't actually have paper copies for you.

21 CHAIRMAN JACKSON: Do you have at least two
22 copies? It's very difficult to see from here.

23 MR. COOL: I don't know that we have any. Let me
24 give you mine. I think I know what I wrote.

25 To fundamentally walk away from the first formal

1 round of interactions. So under this alternative, rather
2 than the notice of proposed rulemaking and solicitation of
3 early comments, begin immediately with a process of
4 drafting, of laying out alternatives. Simultaneous with
5 that, being receptive to and open to any input which we
6 would get from the medical community and otherwise.

7 In other words, keep moving and keep doing the
8 sorts of interactions that we have been doing with medical
9 community, encouraging them to get things in early. This
10 would up the time frame, because the drafting would be very
11 much more running on a shorter fuse.

12 The object of this would be to have some drafts
13 which could be discussed with some options by the time
14 certainly that we got to the Agreement State meeting in
15 October;

16 To start interacting with the ACMUI early this
17 fall;

18 To move from there to the facilitated public
19 meetings, which were viewed in terms of bang for the buck,
20 if you will -- several of you have already indicated this --
21 where there are things on the table much more likely to get
22 very specific section, paragraph, line, chapter, verse
23 changes and additions and otherwise, such that a proposed
24 rule which would include those interactions could come to
25 the Commission in May of next year, and then enter into the

1 more normal, traditional proposed rule and comment process.

2 You could still very well hold a couple of
3 meetings during the formal proposed rule period. Those have
4 not been specifically marked on the chart. That would not
5 directly impact the schedule if you wanted to hold a meeting
6 or two during the formal 90-day public comment period. That
7 public comment period was set at 90 days. That is the
8 minimum under the Administrative Procedure Act. From there,
9 to move into the development of the final rule with all the
10 associated documents and all of the guidance documents that
11 have been laid out.

12 MS. CYR: Ninety days is not the minimum.
13 Seventy-five is the minimum under the NAFTA.

14 MR. COOL: Thank you. I can take 15 off. Thank
15 you very much.

16 MR. THOMPSON: We do take our advice from counsel.

17 CHAIRMAN JACKSON: Take 15 days off the schedule.

18 COMMISSIONER DIAZ: Shouldn't the informal public
19 interaction finish before you develop a rule maybe to set
20 some urgency to people to get it before you actually get to
21 the time line?

22 MR. COOL: That's actually the part that we are
23 walking away from, because we will be drafting, and within
24 six to eight weeks we would have the working group looking
25 at and refining ideas. Under this alternative, while we

1 would be open and continually open to interacting in
2 informal interactions, we would be moving forward.

3 The plan would be to have drafts publicly
4 available, put them in the public document room, put them on
5 the net. They would be more than welcome to E-mail us.

6 To the extent that the various societies are off
7 drafting their own things and a few weeks from now would
8 come in and say, here's some draft language, wonderful.
9 I'll notice the meeting; we'll sit down; we'll refine it.
10 If they want to go off and refine it some more and come back
11 and interact with us, we'll be open to all of that. But the
12 sense of urgency would be very much increased, because we
13 would start harder development, somewhere between a pencil
14 and a pen, laying down some of the ideas so that we could
15 have a draft, or in areas like training and experience, some
16 key options laid out that we could be in a position to
17 hammer at a round-table discussion later this year.

18 CHAIRMAN JACKSON: I was going to mention this in
19 my closing remarks, but I actually think you need to within
20 the next day or two send a supplement to the Commission that
21 lays out this expedited schedule, fleshing out some of what
22 you are saying, because we are not going to sit here and
23 look at this in great detail sitting here at the table.
24 They might.

25 COMMISSIONER MCGAFFIGAN: Just to echo

1 would be open and continually open to interacting in
2 informal interactions, we would be moving forward.

3 The plan would be to have drafts publicly
4 available, put them in the public document room, put them on
5 the net. They would be more than welcome to E-mail us.

6 To the extent that the various societies are off
7 drafting their own things and a few weeks from now would
8 come in and say, here's some draft language, wonderful.
9 I'll notice the meeting; we'll sit down; we'll refine it.

10 If they want to go off and refine it some more and come back
11 and interact with us, we'll be open to all of that. But the
12 sense of urgency would be very much increased, because we
13 would start harder development, somewhere between a pencil
14 and a pen, laying down some of the ideas so that we could
15 have a draft, or in areas like training and experience, some
16 key options laid out that we could be in a position to
17 hammer at a round-table discussion later this year.

18 CHAIRMAN JACKSON: I was going to mention this in
19 my closing remarks, but I actually think you need to within
20 the next day or two send a supplement to the Commission that
21 lays out this expedited schedule, fleshing out some of what
22 you are saying, because we are not going to sit here and
23 look at this in great detail sitting here at the table.
24 They might.

25 COMMISSIONER MCGAFFIGAN: Just to echo

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1250 I Street, N.W., Suite 200
Washington, D.C.

1 rule. It has to be a logical outgrowth of what you propose,
2 but you can develop a final rule which could look
3 substantially different from what you have proposed.

4 CHAIRMAN JACKSON: I think that your caveat is
5 good, Karen. I think we can't ourselves get locked into the
6 idea that sending out the proposed rule means that it's
7 somehow cast in concrete. That's where the inherent
8 flexibility lies, but it also addresses the issue of putting
9 some initial flesh on the bones in a more refined way.

10 Commissioner Rogers.

11 COMMISSIONER ROGERS: Just a couple of
12 observations. It does seem to me that one has to be a
13 little careful here in developing a program by analogy to
14 the decommissioning rule effort, which really had quite a
15 different kind of impact on the general public. It seemed
16 to me there we had to deal with a broad collection of public
17 interest groups rather than professional interest groups.
18 When we talk here about public input, we are probably
19 talking about the input from the professional groups.

20 MR. COOL: That's correct.

21 COMMISSIONER ROGERS: I think you've had a lot of
22 trouble trying to get what you might really call Mr. John Q
23 or Mrs. John Q Public to get any interest in this thing at
24 all. We have really fallen very flat on that and almost
25 given up on it.

1 In a certain sense the technical term of public
2 interaction may be correct, but it really isn't broad; it's
3 really the collection of professional interest groups that
4 have to be involved here rather than some broad public.
5 We've heard a lot from them. I'm not going to repeat
6 everything that is said. So it does seem to me that the
7 character of this enhanced participatory rulemaking should
8 be very, very different here from what we were talking about
9 in the decommissioning because the purpose is quite
10 different.

11 As I listen to it, I don't really quite see why
12 this facilitated public interaction, which is really with
13 these professional groups, can't move earlier on your chart
14 here. That's where the carpentry is to be done; that's
15 where people have to really hammer things out. A mixed
16 metaphor.

17 At any rate, I think that maybe we are all
18 uncomfortable here, and I'm a bit uncomfortable. Even this
19 new chart seems to me to give perhaps too much time to the
20 so-called informal, because I guess we really don't know
21 what informal means.

22 Facilitated, I know what that means. You've got a
23 facilitator and you try to drive towards some kind of
24 commonality. It does seem to me that there are real
25 benefits to having a facilitated approach because of the

1 would be open and continually open to interacting in
2 informal interactions, we would be moving forward.

3 The plan would be to have drafts publicly
4 available, put them in the public document room, put them on
5 the net. They would be more than welcome to E-mail us.

6 To the extent that the various societies are off
7 drafting their own things and a few weeks from now would
8 come in and say, here's some draft language, wonderful.
9 I'll notice the meeting; we'll sit down; we'll refine it.
10 If they want to go off and refine it some more and come back
11 and interact with us, we'll be open to all of that. But the
12 sense of urgency would be very much increased, because we
13 would start harder development, somewhere between a pencil
14 and a pen, laying down some of the ideas so that we could
15 have a draft, or in areas like training and experience, some
16 key options laid out that we could be in a position to
17 hammer at a round-table discussion later this year.

18 CHAIRMAN JACKSON: I was going to mention this in
19 my closing remarks, but I actually think you need to within
20 the next day or two send a supplement to the Commission that
21 lays out this expedited schedule, fleshing out some of what
22 you are saying, because we are not going to sit here and
23 look at this in great detail sitting here at the table.
24 They might.

25 COMMISSIONER MCGAFFIGAN: Just to echo

1 Commissioner Diaz' point, clearly the message should go out
2 to the professional societies and the public getting
3 something to you early is better than getting something to
4 you or May 31, 1998, the last date under this proposal the
5 informal public interaction will end, and you'll give us a
6 SECY paper the next day for us to think about it, if I am
7 reading this right. So the earlier the better on the public
8 comment. As in any process, getting your thoughts down on
9 paper earlier has a bigger influence.

10 MR. COOL: That's correct.

11 MS. CYR: The Commission ought not to lose sight
12 of the fact that a proposed rule is in fact supposed to be
13 -- too often in this agency we think that when we go out
14 with a proposed rule stage that we have somehow written in
15 stone at that point, and we ought not to convey that
16 impression.

17 CHAIRMAN JACKSON: Exactly right.

18 MS. CYR: Yes, we are going to have this early
19 interaction, but it seems to me that the proposed rule is
20 only that.

21 CHAIRMAN JACKSON: Exactly right.

22 MS. CYR: You are certainly looking for public
23 comment and expecting to make changes in response to that.
24 You have a whole period under this schedule for another year
25 and a half in which you are going to be developing a final

1 rule. It has to be a logical outgrowth of what you propose,
2 but you can develop a final rule which could look
3 substantially different from what you have proposed.

4 CHAIRMAN JACKSON: I think that your caveat is
5 good, Karen. I think we can't ourselves get locked into the
6 idea that sending out the proposed rule means that it's
7 somehow cast in concrete. That's where the inherent
8 flexibility lies, but it also addresses the issue of putting
9 some initial flesh on the bones in a more refined way.

10 Commissioner Rogers.

11 COMMISSIONER ROGERS: Just a couple of
12 observations. It does seem to me that one has to be a
13 little careful here in developing a program by analogy to
14 the decommissioning rule effort, which really had quite a
15 different kind of impact on the general public. It seemed
16 to me there we had to deal with a broad collection of public
17 interest groups rather than professional interest groups.
18 When we talk here about public input, we are probably
19 talking about the input from the professional groups.

20 MR. COOL: That's correct.

21 COMMISSIONER ROGERS: I think you've had a lot of
22 trouble trying to get what you might really call Mr. John Q
23 or Mrs. John Q Public to get any interest in this thing at
24 all. We have really fallen very flat on that and almost
25 given up on it.

1 In a certain sense the technical term of public
2 interaction may be correct, but it really isn't broad; it's
3 really the collection of professional interest groups that
4 have to be involved here rather than some broad public.
5 We've heard a lot from them. I'm not going to repeat
6 everything that is said. So it does seem to me that the
7 character of this enhanced participatory rulemaking should
8 be very, very different here from what we were talking about
9 in the decommissioning because the purpose is quite
10 different.

11 As I listen to it, I don't really quite see why
12 this facilitated public interaction, which is really with
13 these professional groups, can't move earlier on your chart
14 here. That's where the carpentry is to be done; that's
15 where people have to really hammer things out. A mixed
16 metaphor.

17 At any rate, I think that maybe we are all
18 uncomfortable here, and I'm a bit uncomfortable. Even this
19 new chart seems to me to give perhaps too much time to the
20 so-called informal, because I guess we really don't know
21 what informal means.

22 Facilitated, I know what that means. You've got a
23 facilitator and you try to drive towards some kind of
24 commonality. It does seem to me that there are real
25 benefits to having a facilitated approach because of the

1 past complaints that the NRC stuffs everything down people's
2 throats. If you have got a facilitated meeting that
3 actually does come to pretty good common ground, I think
4 that will tend to diminish the credibility of that kind of
5 an argument. The informal one, I don't know what is going
6 to come of that.

7 All I am saying is I think that I would like to
8 see you try to move as quickly out of the informal into the
9 facilitated and use the facilitated efforts to really come
10 to grips with what these things ought to say and get
11 everybody together in one room and argue it out, and use a
12 facilitator, though, so that there is no complaint that NRC
13 just totally dominated this when everybody else had a
14 different view. Ultimately NRC has the authority and has
15 the responsibility. There is no question about it.

16 If everybody doesn't like it and we feel we are
17 obligated to do it under the Atomic Energy Act or something,
18 we'll do it, but we don't want to start out that way.

19 I would urge for more emphasis on the facilitated
20 interactions. If you want to label them public, okay, but
21 we really know that that public is the interested
22 professional society groups, not a broad public. Although
23 I'm sure they would be welcome, they're not going to come.
24 They haven't so far.

25 The other thing, on General Counsel's observation

1 about a proposed rule is just a proposed rule. I'm not a
2 lawyer. I'm not going to argue with the general counsel,
3 but I think the history has been that we haven't made very
4 big changes from proposed rules in general. We can.

5 MS. CYR: That was exactly my point. That has
6 been our practice, but that's not what the legal framework
7 is.

8 COMMISSIONER ROGERS: I understand.

9 CHAIRMAN JACKSON: New opportunity.

10 COMMISSIONER ROGERS: It's a new opportunity, but
11 you have to demonstrate the credibility of that observation,
12 because we have said that many, many times in the past, and
13 the net result hasn't been very different.

14 CHAIRMAN JACKSON: That's an opportunity for all
15 of us. When we send out the proposed rule and there are
16 substantial comments and concerns, then we have to
17 accommodate it.

18 COMMISSIONER ROGERS: My point is that facilitated
19 interactions provide an opportunity to kind of diminish the
20 concerns.

21 CHAIRMAN JACKSON: I'm going to keep going down
22 the line with the Commissioners so we can get the final
23 questions or comments in. But let me ask you this. Can you
24 give us the resource loading for the new schedule? You can
25 send it as the supplement.

1 MR. PAPERIELLO: It was in the budget. We gave it
2 to the budget review group. We just transcribed the
3 numbers.

4 CHAIRMAN JACKSON: All you have to do is lift it
5 out and put it in.

6 Commissioner Dicus.

7 COMMISSIONER DICUS: On these alternative
8 schedules, I think we have focused on alternative one. I
9 was looking over here at alternative two as well.

10 CHAIRMAN JACKSON: Alternative two?

11 COMMISSIONER DICUS: Yes.

12 On alternative two you have in the fourth quarter
13 of the fiscal year public input, but there is no mention
14 here of facilitated public interactions. Are you planning
15 that, or are you going to come back in the supplemental
16 paper and explain these two alternatives?

17 MR. THOMPSON: I think we need to do that. We
18 haven't had a full chance for Carl and I to look at that.
19 This was something we developed in recognition that we
20 needed to have an alternative approach in general concept,
21 and we need to flesh this out a bit more.

22 COMMISSIONER DICUS: I think having the public
23 input early is addressing Commissioner Roger's concern.

24 CHAIRMAN JACKSON: What is the current due date on
25 this paper?

1 MR. HOYLE: I don't have that with me.

2 CHAIRMAN JACKSON: Let us agree, since we do it as
3 a public vote, that we want this supplement with these
4 things fleshed out. We'll give you one extra week, and we
5 will extend the due date on the vote on the paper for one
6 extra week. Can we all agree on that?

7 MR. HOYLE: June 20 was the due date.

8 CHAIRMAN JACKSON: So June 27, but with the
9 understanding that within the week the supplement will come.

10 COMMISSIONER DICUS: A couple other points. I
11 want to be sure to make it unanimous that I was equally
12 concerned with the time line that we saw in the original
13 paper and appreciate the fact that you were able to do a
14 quick recovery and try to shorten this at least to the time
15 that we wanted as we put it out in the DSI.

16 A couple of quick comments, probably preaching to
17 the choir, and I hope I am preaching to the choir here.

18 A couple things to keep in mind as you go forward
19 with this process. I mentioned the radio pharmacies. I
20 think you are already aware of this, but when we revise Part
21 35 there are other parts of our regulations that could be
22 impacted. This happened to us in Part 20, and we didn't
23 catch all of those. And also with the reg guides. So you
24 have got to think outside the box on this.

25 I'll give you one particular, and it's Part 32

1 with the licensing of radio pharmacies. You've got to be
2 sure that as we revise 35 we look at 32 as well, particular
3 the reg guides. I think you already know there is a
4 conflict there with the reg guide. I think we are going to
5 have to watch this as we go forward.

6 The second comment I would like to make is I think
7 the people you will be dealing with, particularly the
8 professional societies, the other stakeholders and the
9 states, and non-Agreement States as well, will help with
10 this, but we always have to remember that the NRC does,
11 after all, regulate only a partial segment of the use of
12 radioactive materials in medicine, and certainly only a very
13 small part of the use of radiation in medicine.

14 Whatever happens with 35 has got to be done
15 thinking in the context of how does this impact the use of
16 an x-ray machine. Even though we don't do that, we cannot
17 do this without keeping those sorts of things clearly in
18 mind.

19 CHAIRMAN JACKSON: Commissioner Diaz.

20 COMMISSIONER DIAZ: First, I want to thank
21 Dr. Cool for a wonderful presentation without the aid of
22 viewgraphs.

23 MR. COOL: Thank you.

24 COMMISSIONER DIAZ: That was very good.

25 I think we have said everything. I think time is

1 the important thing. I just wanted to bring up a side
2 argument following Commissioner Dicus' comments. I haven't
3 seen anything in writing and I know it doesn't pertain to
4 Part 35, but in all of these conversations and meetings has
5 the issue of accelerators been brought out, and if so, could
6 we get a separate report on some of the staff thinking and
7 the information that is being received from the community on
8 the separate issue of accelerators?

9 CHAIRMAN JACKSON: We should fold it in, but not
10 as part of this particular one.

11 COMMISSIONER DIAZ: Not as part of this.

12 MR. COOL: To date the feedback has only been in
13 terms of questions with regard to why the SRM was written
14 the way it was and the questions about why the IOM report
15 was not accepted.

16 COMMISSIONER DIAZ: I see.

17 MR. COOL: Beyond that, we really haven't gotten
18 any substantial feedback that I could summarize and report
19 to you. They asked a couple questions. I in fact chose to
20 respond to them by reading the specifics of the SRM. They
21 went on to another question, and that was as far as the
22 Society of Nuclear Medicine. There might have been slightly
23 more colorful language.

24 CHAIRMAN JACKSON: Get out of Dodge.

25 Commissioner McGaffigan.

1 COMMISSIONER MCGAFFIGAN: On the resource issue,
2 one of the things I noticed in the paper is most of the FTEs
3 and resources are in NMSS, but in FY-98 and FY-99 we still
4 have Research doing a significant chunk of rulemaking with
5 1.9 and 1 FTE. I don't want to open up the whole discussion
6 of the direction we gave separately about getting rulemaking
7 activities back into the program offices, but does this
8 reflect the current status quo, and as modulo are those
9 people getting transferred into NMSS at some point, and
10 those resources getting transferred in?

11 MR. COOL: It basically does in the sense I have
12 met with the division in Research. We have reached an
13 agreement with regard to their providing an individual.
14 They're part of the team working on it. This is
15 irrespective of any of the other possible changes. Our
16 intention is to use some of the contract vehicles; the
17 Internet capability that has already been developed in terms
18 of posting things. Some of that support, because the
19 infrastructure sits there, it only makes sense to try and
20 tap it.

21 CHAIRMAN JACKSON: But you can't presuppose it,
22 because we haven't made that formal decision about where the
23 rulemaking gets done.

24 COMMISSIONER MCGAFFIGAN: We've made the decision
25 in principle in the SRM and the DSI to take rulemaking out

1 of Research, but the details the staff hasn't proposed to us
2 yet.

3 MR. THOMPSON: We have not, and this really
4 reflects the current organizational structure and
5 responsibilities.

6 COMMISSIONER MCGAFFIGAN: The second point. I
7 think I agree with Commissioner Rogers about the facilitated
8 only because I think it will get the pencil working faster.
9 It sounds like to go into a facilitated discussion on, say,
10 section 30.32, you have to have something to say about it.
11 It's really the same comment, but I think if the facilitated
12 discussions occurred earlier, it might force pen to paper
13 both here and in the community earlier.

14 CHAIRMAN JACKSON: By the way, I would like to
15 kind of make an addendum to this. We have to be careful if
16 we keep talking about blank sheets. I know this is just for
17 purposes of discussion. You want to rewrite Part 35. You
18 are not necessarily looking section by section at the
19 existing Part 35 and saying "I want to change it."

20 COMMISSIONER MCGAFFIGAN: That's what I said
21 earlier. I think they've got a new outline.

22 CHAIRMAN JACKSON: You basically have to write a
23 new Part 35.

24 COMMISSIONER MCGAFFIGAN: They have a new outline;
25 they know what they want to fill in; a lot of it is going to

1 come from the current Part 35.

2 CHAIRMAN JACKSON: I agree, but not to do it
3 necessarily as a section by section, line in, line out kind
4 of thing.

5 MR. PAPERIELLO: The other thing is we need to
6 develop the licensing guides to go with it. Frankly, there
7 are a lot of areas of low risk that I intend that we are
8 going to reduce the effort both on our part and the
9 licensees. Diagnostic nuclear medicine, and I define that
10 as less than 5 REM TEDE --

11 CHAIRMAN JACKSON: You don't have to tell us the
12 rule today.

13 MR. PAPERIELLO: I want to make sure we don't add
14 requirements through the licensing back door that we take
15 out of the regulations. That has happened in the past.

16 I also want a very honest game. For four years
17 the staff has been accused of lying to the Commission, being
18 stupid and incompetent.

19 CHAIRMAN JACKSON: Not this Commission.

20 MR. PAPERIELLO: I wanted to build a record to
21 show when we have the final rule we did an honest job and
22 the like.

23 CHAIRMAN JACKSON: We think you are honest in the
24 absence of evidence to the contrary.

25 [Laughter.]

1 COMMISSIONER ROGERS: And not stupid.

2 CHAIRMAN JACKSON: In the absence of evidence to
3 the contrary.

4 MR. THOMPSON: But there are those out there who
5 would like to paint the staff in that role.

6 CHAIRMAN JACKSON: Let me make sure you understand
7 this. You've gotten various individual and collective
8 inputs today. I don't believe there is an adversarial issue
9 between this Commission and the staff. So let the record
10 show this. I think we are just trying to move this process
11 along.

12 I would like to thank you for today's briefing.
13 The discussion we have had of the logistics issues
14 associated with your proposed program for revision of Part
15 35 as well as feedback that you have gotten from recent
16 meetings with professional organizations will assist the
17 Commission in its review of the SECY paper.

18 There is a lot of work to be done on the issues
19 presented today within the new proposed time line that is
20 now consistent with the time line of the SRM. There are
21 going to be a lot of long hours spent on these issues and
22 getting the rule done, but in the long run I'm sure we all
23 realize the benefits of taking an honest and, the operative
24 word is, "fresh look" at what are undoubtedly controversial
25 issues.

1 So I anticipate that with the information provided
2 today the Commission is going to vote on this paper modulo
3 the revised schedule in the very near future, but I think
4 you've heard enough to know of the need to provide a
5 framework for public input and decision-making, folding in
6 what you have already learned over the years from
7 interactions with the medical community and other
8 stakeholders.

9 I reemphasize the need to get input from
10 individuals who can give you current views relative to the
11 practice of medicine so that the rule is not DOA, and then
12 you are going to provide us with the supplement on the
13 amended schedule to flesh out what that all means. With
14 that we can take account of all the concerns and give you
15 some fast feedback so you can get started on this.

16 Thank you.

17 [Whereupon, at 10:20 a.m., the public meeting was
18 concluded.]

19
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached description of a meeting of the U.S. Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING ON MEDICAL REGULATION ISSUES

PLACE OF MEETING: Rockville, Maryland

DATE OF MEETING: Thursday, June 13, 1997

was held as herein appears, is a true and accurate record of the meeting, and that this is the original transcript thereof taken stenographically by me, thereafter reduced to typewriting by me or under the direction of the court reporting company

Transcriber: Michael G. Paulus

Reporter: Michael G. Paulus



Program to Revise/10 CFR Part 35 “Medical Uses of Byproduct Material”

Donald A. Cool, Director
Division of Industrial & Medical Nuclear Safety
Office of Nuclear Material Safety & Safeguards
June 13, 1997



TOPICS TO BE COVERED

- Plan for revision to Part 35
- Conceptual Ideas
- Initial Feedback from Professional Organizations



FUNDAMENTAL OPERATING PLANS


- Enhanced Participatory Rulemaking
- “Blank Piece of Paper”



PROPOSED STEPS TO PLAN

- Early Input
- Validation of Rulemaking Initiatives
- Proposed Rule
- Final Rule

PROGRAM FOR REVISING 10 CFR PART 35, ASSOCIATED GUIDANCE DOCUMENTS, AND
1979 MEDICAL POLICY STATEMENT





PROJECT ORGANIZATION

- Steering Group
- Working Group
- Consultants/ACMUI



SOURCES OF DATA

- NRC
- International Organizations
- Professional Societies



ISSUES SUBSUMED

- Indiana Pennsylvania Incident Investigation Team
- Open Rulemakings
- Medical Issue Papers
- Internal Staff Audits



ISSUES

- QM Requirements
- Misadministration
vs. Medical Event
- Training and Experience
- Capturing Emerging Technologies
- Accreditation Process



Issues (Cont.)

- Medical Judgment
- Sophistication of Practice
- “Bad Apple” Factor
- Authorized User



Modality Approach

- Who Licensed
- Technical Issues (e.g., surveys, access controls)
- Training and Experience
- Licensee Event Reports (Misadministrations, etc.)
- Records



Meetings to Date

- ACMUI
- CRCPD
- SNM/ACNP
- ACMP